

SPEC COLL  
66  
1552  
PTK  
H38  
1090  
10-20-22

VOLUME 20

STATE OF ALASKA

IN THE SUPERIOR COURT AT ANCHORAGE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

----- X	:	
In the Matter of:	:	
STATE OF ALASKA	:	Case No. 3ANS89-7217
versus	:	Case No. 3ANS89-7218
JOSEPH J. HAZELWOOD	:	
-----	:	

Anchorage, Alaska

February 28, 1990

The above-entitled matter came on for trial by jury before the Honorable Karl S. Johnstone, commencing at 8:36 a.m. on February 28, 1990. This transcript was prepared from tapes recorded by the Court.

APPEARANCES:

On behalf of the State:

BRENT COLE, Esq.

MARY ANN HENRY, Esq.

On behalf of the Defendant:

DICK L. MADSON, Esq.

MIKE CHALOS, Esq.

PRO-TYPISTS, INC.

Professional Transcription Service

(202) 347-5395

**ARLIS**

Alaska Resources  
Library & Information Services  
Anchorage Alaska

C O N T E N T S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

WITNESSES

STATE'S

DIRECT CROSS REDIRECT RECROSS

Robert A. Beevers

- 3 - -

- - -

E X H I B I T S

DEFENDANT'S

IDENTIFICATION

IN EVIDENCE

AC

65

-

AD

72

74

AE

75

-

AF

81

-

- - -



1 Court, whether it's just the judge or the jury, but to  
2 decide facts in a particular case. Have you ever testified  
3 in that sense?

4 A As an expert witness. I've testified in company  
5 matters when I was ashore, where they hired me independent  
6 of my master's duties as a consultant to testify, yes.

7 Q On behalf of your company.

8 A On behalf of the companies, yes.

9 Q How many times was that, sir?

10 A I don't know, a few.

11 Q But this is your first time as a hired consultant  
12 in a regular --

13 A Oh, to testify -- yes, in something like this, the  
14 first time I've testified as an outside consultant in a  
15 Court, yes.

16 Q Okay, then, Captain Beevers, let me go back to the  
17 question of pilotage. We talked a little bit about that  
18 yesterday. And let me ask you this, first of all, sir.  
19 When you retired, it was in 1987.

20 A '87, yes.

21 Q When did you last make a transit in Prince William  
22 Sound prior to your retirement?

23 A Just the -- I was on my northbound leg from Panama  
24 when I retired, so within the month. It takes about a  
25 month for a round trip, so within some time, the first of

1 March.

2 Q And that was your last trip, then, was to Prince  
3 William Sound.

4 A Yes.

5 Q Okay. You were presumably aware of the Coast  
6 Guard and its -- call it regulations or Captain of the Port  
7 Orders concerning pilotage --

8 A Yes.

9 Q -- prior to retirement, right?

10 A Yes.

11 Q Now would you agree, sir, that it's changed since  
12 1980?

13 A It's changed somewhere in there. I'm not sure  
14 just what the year. It has changed from whatever it  
15 originally was, yes.

16 Q Would you say from what it originally required  
17 was, what, a pilot could be on board at Cape Hinchinbrook  
18 and go all the way into Port Valdez?

19 A My understanding is you need a pilot from Cape  
20 Hinchinbrook all the way into the berth, yes.

21 Q And at some point in time, that was changed.

22 A Not completely. What was changed was exceptions  
23 were made for vessels that did not have --

24 Q What I'm getting at, sir --

25 MR. COLE: Judge, I object. He started to explain

1 it. He should be allowed to explain it.

2 MR. MADSON: He certainly can, but I think we're  
3 not communicating, what I'm trying to get at.

4 BY MR. MADSON: (Resuming)

5 Q I'm not trying to interrupt you, sir. What I was  
6 going to ask you was the change in pilotage from Cape  
7 Hinchinbrook into Port Valdez was a state pilot at one  
8 time, that was a requirement, was it not?

9 A Oh, way back, yes.

10 Q Yes, way back.

11 A Before -- as long as I've been up here, federal  
12 pilotage could come from Rocky Point inbound. The state  
13 pilots always picked them up off of Rocky Point.

14 Q Rocky Point was a state pilot station.

15 A Yes.

16 Q And there came a time when the state pilots no  
17 longer went out to Cape Hinchinbrook, correct?

18 A Yes, that was some time earlier, yes.

19 Q And then you had the federal pilotage  
20 endorsement --

21 A Yes.

22 Q -- or may not have the federal pilotage  
23 endorsement, right, and certain changes were made in that  
24 regard?

25 A Yes.

1 Q On that point, then, first of all, the Coast Guard  
2 said, well, for daylight passages, you didn't need pilotage  
3 and if you didn't have a pilotage endorsement, then with  
4 certain other restrictions, you still could transit Prince  
5 William Sound, right?

6 A Yes.

7 Q Then in 1986 -- did you know Captain McCall, by  
8 the way? Were you going in and out of there?

9 A No.

10 Q Were you aware of the Captain of the Port Order in  
11 1986 that he issued which basically eliminated the daytime  
12 requirement and said visibility was the criteria?

13 A Yes.

14 Q Did you ever see a Notice to Mariners or the  
15 actual Captain of the Port Order, itself?

16 A No, I didn't.

17 Q Is this kind of word of mouth? Is this how you  
18 heard about it?

19 A I really can't recall now just how I heard about  
20 it, but I don't recall ever seeing, a Notice to Mariners on  
21 it, no.

22 Q When a Captain of the Port Order is issued, would  
23 you not assume or believe that the way to get the notice  
24 out to somebody would be by written notice to all the  
25 captains?

1           A     It may well have been sent out and, at this time,  
2 I don't remember. But I don't recall ever getting a  
3 notice, no.

4           Q     In your evaluation of the materials you looked at  
5 and examined before testifying here, in Court, did you also  
6 look at what's known as the Alamar Letter, that is a letter  
7 that was sent to the Exxon people from their shipping agent  
8 in Valdez?

9           A     I saw a note, basically a note I think it was, but  
10 I saw something, a message from Alamar, yes.

11           MR. MADSON: Excuse me, Your Honor, I need to see,  
12 make sure we're talking about the same thing if I could  
13 approach him, first. I think it's Exhibit B, Defendant's  
14 Exhibit B.

15           BY MR. MADSON: (Resuming)

16           Q     Okay, Captain, let me hand you Exhibit B and ask  
17 you if that's the note that you did look at.

18           A     I don't remember this. It seems to me that I  
19 looked at something that was written, you know, a written  
20 note. I don't remember seeing --

21           Q     Do you know who the note was from or who it went  
22 to?

23           A     No. I do know that it was something from Alamar.  
24 Now just who, I don't remember. I remember looking at it.  
25 Just where I got that at that point, I don't know.



1           Now in regards to this -- I haven't read this  
2 through. May I take the time?

3           Q     Oh, certainly. I was just trying to make sure  
4 that's the one you were talking about. Apparently it  
5 isn't.

6           A     I don't recall ever seeing this. I've seen a note  
7 about it and I called the Coast Guard in Valdez right after  
8 the grounding, when I first came up, and talked to who I  
9 assume was Commander McCall, if I remember right, and we  
10 went over this. He went over all this information and it's  
11 still -- my understanding of what he had to say was the  
12 same as this, but what this means is that the pilotage that  
13 is -- if you have pilotage, it's the same as always. If  
14 you do not have pilotage, you follow -- you comply with  
15 this and you can come into the Bligh Reef area and pick up  
16 the state pilot at Bligh Reef.

17          Q     Would you agree, sir, that that letter is at least  
18 somewhat ambiguous as to what changes were made?

19          A     It seems straightforward to me. However, you  
20 know, I'm not an attorney and I'm looking at it more from a  
21 shipboard point of view. It seems pretty straightforward.  
22 Maybe to an attorney or maybe to someone that's uninvolved  
23 in the maritime industry, there may be some confusion.

24          Q     You believe that anybody involved in the maritime  
25 industry would find that straightforward and easy to

1 understand, no question that there's no policy changes or  
2 waivers of pilotage endorsement?

3 A I didn't get that from it, no.

4 Q There's no question about there's any difference  
5 between sailing under registry and sailing coastwise.

6 A It doesn't mention that, I don't believe, here.  
7 I'd have to reread it, but I didn't see anything offhand  
8 about that, no.

9 Q Assume you got this, sir, and at the same time,  
10 you also knew that the Coast Guard was in the process of  
11 changing the regulations involving -- not regulation. It  
12 isn't a regulation, is it? It's a Captain of the Port  
13 Order, right?

14 A Yes.

15 Q -- Captain of the Port Order involving pilotage  
16 endorsement and you knew the Coast Guard was trying to or  
17 was in the process of eliminating that. Did you know that  
18 at the time?

19 A I knew they were --

20 MR. COLE: I object.

21 JUDGE JOHNSTONE: Don't answer the question,  
22 please, when there's an objection. Wait until we resolve  
23 it.

24 MR. COLE: I object to that not being in the  
25 evidence, irrelevant.

1 JUDGE JOHNSTONE: The objection is --

2 MR. MADSON: Your Honor, I think as an expert  
3 witness, I think I'm entitled to examine him to see if he  
4 would change his mind or opinion, based on facts and  
5 circumstances he may be aware of and may have very well  
6 been aware of at the time.

7 JUDGE JOHNSTONE: Objection sustained.

8 BY MR. MADSON: (Resuming)

9 Q You said you talked to Captain McCall about the  
10 contents of this letter.

11 A I believe that's who I talked to because when I  
12 first came up and this came up about, "Well, they no longer  
13 require a pilot," I didn't -- I'd never heard that, so I  
14 called the Coast Guard and asked if I could talk to someone  
15 that could explain it. And if my memory is correct, they  
16 transferred me to Commander McCall and he went over this  
17 over the phone with me. And in effect, what he said is --

18 Q Well, I'm not asking you what he said.

19 A Okay, yes.

20 Q But what I'm saying to you, sir, and asking you is  
21 at the time you had this conversation, you had already been  
22 hired by the State, right?

23 A Yes.

24 Q You were under contract with them at the time.

25 A Yes.

1 Q And this was an issue they asked you to examine,  
2 right?

3 A I don't recall they asked me to. As soon as I saw  
4 there was a question in it, I called the Coast Guard to  
5 check on it, yes.

6 Q Under the scope of the assignment that was given  
7 to you --

8 A Yes.

9 Q -- you knew there were certain things you had to  
10 look for and should look for, right?

11 A Yes.

12 Q Possible defects that Captain Hazelwood might  
13 have, right, such as whether pilotage was an issue or not?

14 A I don't know if we got in that depth or that was  
15 under my -- the scope of my employment was more advising  
16 them on how ships operate and what's expected of people on  
17 the ship and what the ship would do and various documents  
18 on the ship. As far as Captain Hazelwood's defense, I  
19 don't think that I really got too much into that.

20 Q Well, as far as what should or should not be done  
21 on a ship --

22 A Yes.

23 Q -- is one of the things you were looking at,  
24 right?

25 A Yes.

1 Q And you reached this conclusion regarding this  
2 letter after you were contracted by the State of Alaska and  
3 hired by them.

4 A Yes.

5 Q Now are you aware or did you examine any  
6 particular state statutes regarding pilots, pilotage, when  
7 it's necessary and things like this?

8 A I don't -- I think, years past, I have and I think  
9 that I don't remember anything about the state. Well, I  
10 saw one sheet of paper and this --

11 Q Let me ask you -- this is, by the way, Defendant's  
12 Exhibit S -- and ask you -- this is only referring to this  
13 particular statute here.

14 A Oh.

15 Q Have you seen that before?

16 A I think I've seen this before. I don't know just  
17 when, though. Let's see --

18 Q Well, was that recently or some years in the past?

19 A Oh, I'm sure it would be back some. I don't --

20 Q Would you read that, please?

21 MR. COLE: Objection.

22 THE WITNESS: Read it out loud?

23 BY MR. MADSON: (Resuming)

24 Q Yes, it's in evidence.

25 JUDGE JOHNSTONE: Is it in evidence?

1 MR. MADSON: Yes, it has been admitted.

2 JUDGE JOHNSTONE: What is the exhibit number,  
3 please? Is there a tag on it?

4 THE WITNESS: Yes.

5 JUDGE JOHNSTONE: Go ahead and read it out loud.

6 THE WITNESS: "Certain licensed pilots required  
7 for oil tankers. Any oil tanker, whether enrolled or  
8 registered, of 50,000 dead weight ton or greater shall,  
9 when navigating in state waters beyond Alaska pilot  
10 stations, either, one, employ a pilot licensed by the state  
11 under this chapter or, two, utilize a federally licensed  
12 pilot whose duty has been on that tanker throughout that  
13 specific voyage," and, B, "A pilot required in A of this  
14 section shall control the vessel during all docking  
15 operations."

16 BY MR. MADSON: (Resuming)

17 Q According to that state statute, then, when does a  
18 pilot have to, when is he required to control the vessel?

19 A A state pilot is required to control the vessel  
20 during all docking operations.

21 Q Now it says "referred to in A of this."

22 A That's --

23 Q Okay, what does -- A includes either a state pilot  
24 or a federally endorsed pilot, does it not?

25 A Let's see, A. According to this, yes.

1 Q Okay. And by "control," that means actually being  
2 in physical control of giving the orders when docking?

3 A Yes, to me, that would mean that, yes.

4 Q It's safe to say, sir, that that state law does  
5 not require a captain to be on the bridge at any given  
6 time, does it?

7 A It says, "The pilot required in A of this section  
8 shall control the vessel during all docking operations,  
9 according to the law."

10 Q Excuse me, except for docking operations.

11 A It says it shall employ a pilot.

12 Q It says master, too, does it not, company or  
13 master?

14 A It doesn't say anything about a master here.

15 Q Well, read on down a little further.

16 A Oh, here, down further here. Do you want me to  
17 read it out loud or --

18 Q Let me just ask you, sir, isn't it true what this  
19 law really says is that a large tanker, such as the Exxon  
20 Valdez, shall either have a state pilot or a federally  
21 licensed pilot whose duty station has been on board  
22 throughout that period of time, that transit, right, that's  
23 what's required?

24 A That's what it says, yes.

25 Q Then it goes on to say either one of those two

1 shall -- must control the vessel during docking operations.

2 A Yes.

3 Q And it doesn't refer to or make any requirements  
4 as to when a master should be on the bridge.

5 A I don't know any --

6 Q I'm only asking you to read it. If you can't  
7 answer, sir, I don't want to -- I'm not trying to force you  
8 to say something.

9 A No, I can read it and that's what it says here,  
10 yes.

11 Q Now let me ask you a few questions about -- well,  
12 the operation of a vessel you went into in some detail  
13 yesterday and the day before. I don't want to go into that  
14 again at the same length. But, generally, would you say  
15 that the master of a vessel, when he's on duty, usually  
16 assumes the direction and control of the vessel?

17 A By direction and control, you're talking about  
18 conning on the bridge.

19 Q I don't know. Does that mean necessarily conning  
20 or does it mean directing control without conning?

21 A For the navigation of the vessel, the way it is  
22 always done on a ship is there's a definite person in  
23 charge of the navigation of the vessel at any one time, in  
24 other words, during the direct conning of the vessel,  
25 putting positions down, et cetera. Now if -- a master



1 doesn't necessarily have to be at the conn all the time.

2 Q No.

3 A What they have to do is have an exchange so that  
4 when you're at sea, if a master leaves the bridge and the  
5 watch officer has accepted the conn, then the watch officer  
6 will do the conning with, of course, the obligation to call  
7 the master at any time. And then if the master comes up to  
8 the bridge, he will take over the conn when he sees fit.

9 But in close waters where the pilotage is  
10 required, normally you don't leave a man without pilotage  
11 at the conn.

12 Q You went into that a lot yesterday. But, first of  
13 all, did you review Captain Murphy, the pilot's testimony  
14 in this trial?

15 A No, I haven't, yet, no.

16 Q So you don't know what he said about, in his  
17 opinion, these were not dangerous waters, Valdez Arm?

18 A I didn't know that he'd said that, no, but  
19 that's --

20 Q Would you agree with that?

21 A That's a matter of opinion. Under normal  
22 circumstances, any place these tankers operate is not  
23 dangerous. When you get into unusual circumstances is when  
24 you get into the danger.

25 Q My question is would you agree with it or not,

1 sir?

2 A Whether Valdez Arm --

3 Q Yes, Valdez Arm is dangerous waters?

4 A Not in normal circumstances, no.

5 Q Now getting back to my earlier question on  
6 direction and control, assume the master has the conn, but  
7 leaves the area, say goes in the chart room, but doesn't  
8 turn over the conn to the watch officer. He still has  
9 direction and control, according to what you're saying.

10 A Yes.

11 Q Suppose he goes into the bathroom, he's there for  
12 15 minutes?

13 A Under normal procedure, if you're going to be --

14 Q I didn't ask you normal procedure. I just asked  
15 if you can --

16 MR. COLE: Judge, I object to Mr. Madson arguing  
17 with the witness. If he's going to ask a question, allow  
18 him to answer the question.

19 JUDGE JOHNSTONE: I think he was responding to  
20 your question, so if you could let him answer.

21 MR. MADSON: Let me rephrase, withdraw that.

22 BY MR. MADSON: (Resuming)

23 Q Can you respond to the question without talking  
24 about normal procedure or is that necessary in or  
25 explanation?

1           A     I don't think it's a yes or no answer. I think I  
2 need to tell you what my answer is.

3           Q     Then if the master goes into the bathroom and is  
4 there 15 minutes, but doesn't say anything to the watch  
5 officer, "You have the conn," my question is who has  
6 direction and control?

7           A     The master went in the -- well, that's, like I  
8 say, if a watch mate is up there and there's a problem,  
9 he's obviously going to say something to the master or do  
10 something, even though -- because the vessel's been left  
11 unattended. If a master has the conn and has to step in  
12 the bathroom for 15 minutes, he's certainly going to say to  
13 the watch officer, "Keep an eye on things. I've got to  
14 step back here and use the bathroom." Now that's --

15          Q     I mean that's kind of common sense.

16          A     Yes, sure.

17          Q     Right, he's going to say, "I'm going to be gone  
18 for awhile. Keep it on this course or, you know, keep it  
19 steady," or something like that.

20          A     Yes.

21          Q     And presumably -- you're familiar with the chart  
22 of the area of the Exxon Valdez bridge -- not the chart,  
23 but the diagram, the layout?

24          A     Yes.

25          Q     Okay, there is a bathroom up there, right?

1 A Yes.

2 Q And it presumably would take maybe 15 seconds or  
3 so, if the master were in there and there was an emergency  
4 and he had to come out.

5 A It would be less than that, but, yes, you could  
6 rush right out of there, you know. That's depending --

7 Q Well, I don't want to speculate too much on this,  
8 but -- ten seconds, would you give me that?

9 A But, yes, he could rush right out if there's a  
10 problem, yes.

11 Q Okay, do you know where the captain's quarters are  
12 on the Exxon Valdez with respect to the bridge?

13 A Yes.

14 Q Would you disagree with the opinions that have  
15 been related here today that he could be there in ten or 15  
16 seconds?

17 A I think I walked from his office up to the bridge  
18 in 12 seconds, if I'm not mistaken.

19 Q And you were walking, right?

20 A Yes.

21 Q So you don't disagree with that at all.

22 A It's in that -- yes, depending on the person, it  
23 would vary a little, but --

24 Q And if the master went down below, didn't turn the  
25 conn over to the watch officer, but said keep it on a

1 particular course and goes down below, "Call me if you need  
2 me. I'll be right down below," has he turned over this  
3 direction and control or is this another one of those iffy  
4 situations?

5 A The way I've always understood it, if you leave  
6 the bridge area, you have to turn the conn over to leave  
7 the bridge area. A person that's operating the vessel,  
8 navigating the vessel, has to be in the bridge area, as far  
9 as the way I understand it.

10 Q Now how about the way Mr. Cousins understood it.  
11 You reviewed his testimony, did you not? Do you recall his  
12 testimony to the effect that he did not understand and  
13 believe that he had the conn, but that Captain Hazelwood  
14 still was the conn and had the conn, was giving directions  
15 and control?

16 MR. COLE: Judge, I object to that. I don't  
17 believe that was the testimony.

18 MR. MADSON: I believe it was.

19 JUDGE JOHNSTONE: Well, I don't recall and you can  
20 ask him to form an opinion, but asking him what Mr. Cousins  
21 said, if he believes what Mr. Cousins said is not a proper  
22 question of this witness.

23 BY MR. MADSON: (Resuming)

24 Q Well, assuming in any situation the watch officer  
25 said, "My understanding was the captain still had direction

1 and control and did not turn the conn over to me."

2 A It's my understanding that any time you leave the  
3 bridge, you turn the conn over to the watch mate. I mean  
4 that's normal procedure, tradition, and the watch mate  
5 would call the captain if he needed help. But as far as --  
6 the watch officer would accept the conn if the captain left  
7 the bridge and told him if he -- there's an exchange of  
8 who's controlling is always done and if it's not done, it  
9 always leaves a cloudy point.

10 Q Well, if a watch officer, again, were to say, "I  
11 didn't have any misunderstandings. I know what I was  
12 supposed to do. He was right down below. He must still  
13 give me the directions and orders and I was simply carrying  
14 them out as if he was standing right on the bridge" --

15 A But from understanding of the way ships operate,  
16 the mate on watch would have the conn. The captain, if he  
17 went below, would not have the conn.

18 Q What rule, regulation or statute requires this?  
19 Is there any rule?

20 A Well, there again, I'm not -- I haven't delved  
21 into the law. I mean we don't at sea, but this is my  
22 understanding that this is the way it's done and my  
23 understanding that it's standard practice in the industry.

24 Q It's fair to say you don't know of any, is that  
25 right, any laws, regulations that specifically relate to

1 this --

2 A No, I don't.

3 Q -- and say particularly, in detail, when or when a  
4 master must turn over the conn or leave the bridge or  
5 anything like this.

6 A No, I don't. I mean I'm not an attorney, so I  
7 don't study all this. I just -- my career is what I'm  
8 basing this on, is what I've seen in tradition and standard  
9 practice in the industry is that the conn is always left  
10 with the officer on the bridge.

11 Q But certainly, sir, as a tanker captain of years'  
12 experience, you know that there are numerous Coast Guard  
13 regulations governing activities of not only oil tankers,  
14 but all commercial vessels, right?

15 A Yes, right.

16 Q Now let me ask you something else. Is it true  
17 that -- you know, certain traditions seem to carry over for  
18 years and years and maybe the one people long remember is  
19 the captain standing at the wheel or next to the wheel and  
20 a guy steering it, you know, old sailboats, for instance.  
21 Is that somewhat true today? In other words, is that  
22 tradition still carried on, that the captain doesn't  
23 manually, physically steer the vessel?

24 A No, you don't. Neither the master, nor the watch  
25 officer, manually steers the vessel. You have a seaman

1 that turns the wheel under your direction.

2 Q Is there any reason for that, other than just  
3 tradition?

4 A Yes, there is a reason for that, because when  
5 you're navigating a vessel, you need to take bearings, you  
6 need to watch the radar, you need to answer the VHF phone,  
7 you need to plot positions. There's numerous duties that  
8 the watch officer is doing, so he has to have the freedom  
9 to move from bridge wing to bridge wing, chart room, bridge  
10 areas, as a lookout and navigating officer, so he cannot be  
11 left at the wheel. That's why you have a helmsman.

12 Q So the watch officer would have other duties other  
13 than just steering, right?

14 A Oh, sure, yes. The only part of the steering  
15 that's his duty is to see that -- is to give the orders and  
16 see that it's done right.

17 Q See that it's carried out.

18 A Yes.

19 Q If the watch officer were to say, "Ten degrees  
20 right rudder," he should make sure that order is carried  
21 out.

22 A Right.

23 Q So it's true, then, that the captain or officer  
24 never has actual physical control of a vessel, such as the  
25 Exxon Valdez. By "physical," I mean he is physically



1 turning the wheel, maneuvering the --

2 A I won't say never because, occasionally, one of  
3 them may step up to make a course change out of preference  
4 or maybe the helmsman has been sent to clean the windows or  
5 something. It's not -- never is a pretty strong  
6 statement. But under a general rule, the master or neither  
7 the watch officer steers the vessel or changes the course  
8 physically, they direct it to be done.

9 Q Now, for instance, in the rare situation, say the  
10 master were to become mentally incapacitated --

11 A Okay.

12 Q -- the watch officer could disregard officer if it  
13 was an obvious one that placed the vessel in danger, isn't  
14 that true?

15 A You're bordering on something that would have to  
16 be such an extreme case that such -- the penalties are so  
17 severe for not following a master's orders that I --

18 Q What are they?

19 A Imprisonment, loss of license. If you refused,  
20 you could be chained up on board.

21 Q How about keel hauling, do they still have that  
22 one?

23 A No, they don't have that. There are a lot of old  
24 ones and a lot of things and so it would be very hard for a  
25 third mate say, or second mate, or even a chief mate to

1 say, "Ah, the old man's not acting right today. I'll take  
2 over the ship." This just isn't done.

3 Q They call it mutiny, right?

4 A Yes.

5 Q I'm talking extremes, certainly.

6 A Yes.

7 Q Let's suppose the captain came on and he said, "I  
8 want you to set this vessel course at 245," and there's an  
9 obvious cliff or rock right in front of you and you know  
10 that this vessel could not possibly turn and avoid that  
11 rock, once it's set on that course. In that extreme  
12 example, wouldn't you say that the watch officer --

13 A Would do something, yes.

14 Q -- would do something?

15 A Yes.

16 Q You also testified yesterday about I think crew  
17 size and I think you got a little bit into demanning, the  
18 term was demanning or something like that, right?

19 A Something of that sort.

20 Q I believe you said that in recent years, the crews  
21 on the tankers have been reduced in size.

22 A That's correct.

23 Q How does a reduction in crews come about?

24 A That's -- the Coast Guard sets the minimum  
25 standard, the minimum required personnel, and this comes

1 about from input from the various interested parties, which  
2 usually ends up as the companies that are involved in  
3 trying to reduce their crews and various other agencies and  
4 various other things that want to keep more people on the  
5 ship and it's discussed and kicked around awhile and the  
6 Coast Guard then decides to set the manning scales and  
7 that's the way it's done.

8 Q It sounds like it's kind of a contest between  
9 economics on the part of the ship owner and safety on the  
10 part of the Coast Guard, is that correct?

11 A Yes.

12 Q And in between there, some balance is struck.

13 A Well, not lately, but hopefully that's the way it  
14 goes, yes.

15 Q Did this occur when you were still a captain, sir?

16 A Yes, we were -- from the time I started to sea,  
17 they've been continually reducing the crews.

18 Q And did you feel that this affected the safety of  
19 your vessel or vessels?

20 A From -- at the start, no, because we had -- the  
21 ships changed. Originally when I started, we were up,  
22 usually, the normal merchant crew, in the 40s. In fact,  
23 the first ship I was on was 65. But they've reduced down  
24 and reduced down and it reached a point at about 30 people  
25 on an average tanker. From that point on down, I felt that

1 they were taking too many people off the ship.

2 Q Reducing 30 to what?

3 A Well, the last one I was on had 24 and now they're  
4 down below that on most of them, so --

5 Q And that means everybody has to work harder and  
6 longer hours and more fatigue.

7 A That's correct, there's more stress, there's more  
8 chance of having a problem, due to being short of crews.  
9 It's just continually more of a problem, yes.

10 Q And I think you also said, for instance, the chief  
11 mate is the captain's righthand man, right?

12 A Yes.

13 Q He normally is in charge of the cargo loading?

14 A Yes.

15 Q Normally, that is a competent -- usually, it's a  
16 competent person, is it not?

17 A You certainly hope so, yes.

18 Q For instance, on the Exxon Valdez, in the material  
19 you reviewed, you became somewhat familiar with Mr. Kunkel.

20 A From reading about him, yes. I've never seen or  
21 met the man, but, yes.

22 Q Just reading about him, there's nothing in there  
23 that would lead you to believe that he was not a good first  
24 officer.

25 A Not that I could see, no.

1 Q In fact, he had a master's license, did he not?

2 A Yes, I believe he did.

3 Q And he would normally take charge of the loading  
4 and have people working for him.

5 A Yes, I think he'd probably lay out a plan of how  
6 he wanted to do it and how he was going to do it and  
7 probably discuss it with the captain and make sure that met  
8 with his approval and then use a second and third mate and  
9 crew members to carry this out, yes.

10 Q Normally, the captain, the master doesn't have to  
11 be there every minute to see that the first mate is  
12 carrying out his duties properly.

13 A No.

14 Q And the chief mate, in turn, can assign duties to  
15 other officers or able bodied seamen to see that these  
16 things are carried out and doesn't have to be there every  
17 second to watch them.

18 A Sometimes. That's the way it's supposed to work,  
19 yes. You know, from the step -- from the master on down,  
20 sometimes there's failure and you know that you do have to  
21 watch them, but basically that's the way it works, yes.

22 Q By the way, do you know how many crew members the  
23 Exxon Valdez had on that voyage?

24 A I believe 19.

25 Q At one time, according to what you said, it would

1 have been 30?

2 A Yes, sir. Of course, now, they've done some  
3 automation since then, but that's -- certainly that was the  
4 smallest crew on a tanker that I've seen, yes.

5 Q And you said that when this crew was there when  
6 you came on board the ship, you couldn't, maybe like the  
7 old days, pick and choose who you wanted to be on your  
8 vessel, right?

9 A No, no, you -- the way it goes now is you have the  
10 people on board. The only option you have -- well, I don't  
11 know with Exxon what option you have, but on the ships I  
12 was on the option you had was refusing a crew member when  
13 he'd come aboard and sending him back and this entails, of  
14 course -- the ships I was on had unions. This involved  
15 company-union negotiations and labor relations in all of  
16 this and it can be done. But it's certainly, through the  
17 years, it's gotten to the point where it's harder to do  
18 this, but it still can be done.

19 Q Would you agree that because of the demand, the  
20 unions may be more aggressive as far as any captain  
21 refusing to have somebody, a union member on board the  
22 vessel would file a grievance or things like this that were  
23 done?

24 A I don't know if there are any more, but they do  
25 try to, you know, try to force whoever they do send to you

1 onto the vessel, yes.

2 Q And I think you just said you don't know what  
3 could be done in the case of Exxon.

4 A I don't know what their company policy was on  
5 manning, no.

6 Q So you don't know what a master working for Exxon,  
7 what his options were or what they were not as far as who  
8 he'd get to sail with, what he would do.

9 A I know what he can do legally, but I don't know  
10 what the company would approve of, no. That's --

11 Q One example you gave in your direct testimony was,  
12 for instance, if someone was known to you, as a master, to  
13 be let's say very poor at steering or incapable or  
14 incompetent at steering, you could say, "Well, I'm not  
15 going to have you steer this vessel," right?

16 A That's correct.

17 Q You could put him on lookout.

18 A Yes.

19 Q The ABs usually alternate between lookout and  
20 steering the vessel, don't they?

21 A Yes.

22 Q Of course, you would have to have some knowledge  
23 of that particular individual, such that it would raise  
24 this level of concern to the point where you would say,  
25 "Gee, I just can't leave this guy at the wheel," right?

1           A     Yes, you'd have to -- to make that decision of  
2 whether you wanted him on the wheel or not, you would have  
3 to have knowledge of his steering, yes.

4           Q     On the other hand, if you had seen him steer  
5 before and he seemed to be following orders competently and  
6 quickly enough, you'd leave him at the wheel.

7           A     If I had seen him at the wheel and had confidence  
8 in his ability, yes, I would.

9           Q     And even if he were not competent at the wheel,  
10 you made him a lookout, a lookout is a rather necessary  
11 person on the ship, too, isn't it?

12          A     That's correct.

13          Q     And if he's not competent to steer a vessel, he  
14 may or may not be competent as a lookout.

15          A     That's true. But it could work either way. A  
16 person that's a good helmsman might be a poor lookout or  
17 vice versa. But the lookout is something that you have a  
18 backup with the radar, you have a backup with your watch  
19 mate and the helmsman is a man that's directly -- of the  
20 two, I would prefer to have a man that could steer, rather  
21 -- I'd rather have a poor lookout and a good helmsman in a  
22 close situation than the other way around.

23          Q     At the same time --

24          A     I'd rather have both of them good, but --

25          Q     -- a lookout could be out there and he has to look



1 for navigation aids, lights, possible other vessels to  
2 avoid collisions, all these things.

3 A Yes.

4 Q Now, by the way, in the access to the materials  
5 that you had that were given to you by the state, did you  
6 review anything regarding Mr. Kagan?

7 A I read his --

8 Q His statements?

9 A -- his statements. And as far as -- I've read  
10 what other people said about him. Whatever was in there  
11 that referred to Mr. Kagan I read about, yes.

12 Q But you didn't read or review or listen to any of  
13 the testimony in this trial concerning his ability or the  
14 lack of it as a person to steer, who could steer.

15 A No, I don't remember reading anything about him,  
16 no.

17 Q And, of course, you don't know then what Captain  
18 Hazelwood really knew or did not know about Mr. Kagan?

19 A I know what I read in the reports that the chief  
20 mate had made a comment about Kagan's ability and I believe  
21 one other officer made a comment about his ability.

22 Q Do you recall reading in there about what Captain  
23 Hazelwood's response was, that he had seen him steer before  
24 and he did okay?

25 A Yes.

1 Q Now is there a difference between steering and  
2 carrying out a simple order command?

3 A There's a difference because the order -- you mean  
4 commands on the wheel?

5 Q Yes, I'm sorry.

6 A They basically go together. A person can  
7 certainly comply with a ten-degree right rudder instruction  
8 when he can't steer very well.

9 Q Just so we understand what the difference is, if  
10 you're a master on the ship and there's a helmsman at the  
11 wheel, you could say to him, "Come about to a course of  
12 270, hold it steady," or something like that.

13 A Well, I'd be a little more precise, but, yes, you  
14 can do that. And if you do that, you would expect him to  
15 be able to put the rudder on, have the ship swing to the  
16 course that you've given him, have him check the swing of  
17 the vessel, steady up on that course, yes. And that's --  
18 almost any able seaman should be able to do this.

19 Q That's not very difficult, is it?

20 A No.

21 Q But it takes a little skill and practice.

22 A It's something that you -- a rank beginner  
23 wouldn't do it. It's something that a person with  
24 experience and practice, they get to do quite well, yes.

25 Q And to do that -- I mean the skill and practice

1 comes about because when you turn the wheel, the ship's  
2 heading turns, but you have to correct the turn, don't you,  
3 the turn before it gets to the compass point.

4 (Tape changed to C-3646)

5 THE WITNESS: Yes, what you do is what we call you  
6 check the swing by putting -- if you're swinging right, you  
7 put left wheel on it to check the vessel's swing. And the  
8 trick to being a good helmsman is determining when to put  
9 the counter rudder on to stop the swing so that you stop on  
10 your heading and aren't continually trying to correct, to  
11 get to the correct course.

12 BY MR. MADSON: (Resuming)

13 Q You used the term counter rudder. That's turning  
14 the rudder back in the opposite direction to check the  
15 swing.

16 A Yes.

17 Q So if a person was learning to steer and had  
18 trouble with it, he could sometimes do what's called  
19 chasing the compass, go too far one way, go the other way.

20 A They can do almost anything, yes. That's a common  
21 failure. A common failure is to go the wrong way, yes.

22 Q On the other hand, as the master of a vessel, you  
23 could give the helmsman an order like ten degrees right  
24 rudder, right?

25 A You could, yes.

1 Q And that's a real simple order, right?

2 A Yes.

3 Q About as simple an order as you can give to a  
4 helmsman.

5 A Yes.

6 Q He has to know, what, two things? He has to know  
7 right from left.

8 A Yes, and he has to be able to read the ten.

9 Q He has to read ten, okay. And there's something  
10 right in front of him that says when it's on ten.

11 A Right.

12 Q And then there's -- and you said the duty of the  
13 watch officer would be, after that order is given, to make  
14 sure it was carried out.

15 A That's correct.

16 Q And to make sure it's carried out, you have a  
17 number of assets, such as rudder indication.

18 A Yes, on that particular vessel, you have a rudder  
19 angle indicator on the forward bulkhead. You have one  
20 overhead that you can see from about any direction in the  
21 wheelhouse. You have a rudder angle indicator on each  
22 bridge wing. You have an indicator right in the steering  
23 station, so --

24 Q So virtually any place you're at there on the  
25 bridge, you could easily determine whether the rudder is

1 turned or not.

2 A Yes.

3 Q Now, sir, I want to get into what I think you  
4 determined were judgment calls on the part of Captain  
5 Hazelwood that you said were examples of bad judgment. For  
6 instance, when you were asked questions by Mr. Cole about  
7 returning to the ship late -- do you recall that?

8 A Yes.

9 Q Did you know from your investigation that the  
10 sailing board was changed?

11 A Yes, I did. It had been moved ahead two hours I  
12 believe from what it had originally been set.

13 Q Originally, it was set for what time?

14 A 2200, I believe.

15 Q What was that?

16 A 2200, is that right?

17 Q Would that be 10:00 o'clock our time?

18 A 10:00 p.m., yes.

19 Q And it was moved up to --

20 A To 8:00 p.m.

21 Q Now a tanker is not like a bus or a plane or  
22 something. It doesn't have a printed schedule --

23 A No.

24 Q -- that says it leaves at 12:38 a.m. every day.

25 A No.

1 Q When it's loaded, you go, right?

2 A Pretty much, yes.

3 Q Excuse me, it's pretty dry in here. Do you want  
4 some water, by the way?

5 A No, that's fine.

6 Q So it isn't critical whether a tanker leaves at an  
7 exact time.

8 A It's not like a bus schedule or a train schedule,  
9 but everybody wants to leave as soon as possible and they  
10 want to leave as soon as they're loaded. And when the  
11 board is posted, you wouldn't post the board for 8:00  
12 o'clock and then hang around until 11:00 before you decided  
13 to leave, unless there was a reason.

14 Q Well, that reason could be, "Yes, I want to wait  
15 and get more update on ice reports, if I can."

16 A Yes, that you could do. That would be a reason,  
17 yes, you know, any legitimate business reason. You could  
18 change it then. But, normally, you try to sail on your  
19 sailing time.

20 Q The master decides when that's going to be, right?

21 A Yes.

22 Q He has discretion.

23 A A lot of times, you'll let your chief mate set the  
24 sailing board because he knows when he's going to finish  
25 cargo, but the master can certainly change that at any time

1 he wants to.

2 Q And you said that because he came back, and you  
3 said late, he needed -- he had less time to review such  
4 things like ice reports, right?

5 A Yes. By late, this is what I meant. He was there  
6 before the ship sailed, naturally, but there's certain  
7 obligations in jobs that a master has and one of them is  
8 determining if it's safe to sail and if he wants to sail,  
9 if his crew is all back, this is -- you know, various  
10 things of that sort, and he should be there to do that.

11 Q So he normally, in a normal situation, wouldn't  
12 run around and say, "Oh, my God, I've got to leave in five  
13 minutes and I've got all this stuff to do," and just dash  
14 through it.

15 A Not in the normal situation.

16 Q He could take his time and make sure that he  
17 evaluates the situation, considered all the options and  
18 leave when he's ready, even though it might be not 10:00  
19 o'clock or 8:00 o'clock, but 8:30 or 9:00.

20 A Whenever he's ready, yes.

21 Q And how long would you say it takes to review an  
22 ice report?

23 A Just a minute or two.

24 Q What if the ice report is merely, "Scattered small  
25 pieces of ice, but had to divert," or something like that,

1 and it's four hours old? Is it something, you know, you  
2 think about and say, "Well, we may have ice, we may not,"  
3 right?

4 A Yes, I don't think I said that he had to spend any  
5 time on it. When I mentioned the ice report in my other  
6 testimony, that was just one of the things to consider  
7 before he sailed. What I was referring to about being  
8 rushed at that time was not the time to read the ice  
9 report, but the fact that he already had the pilot boarded  
10 and on board, the tug boats were in the area, the line  
11 handling crew from the terminal was ready to let him go.  
12 Everything had been set in process to undock at that time  
13 and that's what I was referring to.

14 Q Okay, so he came on board, reviewed ice reports,  
15 determined everything was ready to go, discussed the  
16 situation with the pilot and they proceeded to undock,  
17 right?

18 A Yes.

19 Q Did you review the undocking process?

20 A Yes.

21 Q Any criticism of the undocking process?

22 A No, certainly not.

23 Q He handled that competently, in your opinion,  
24 Captain Hazelwood that is?

25 A Yes, it seemed to go fine, yes.



1 Q Didn't seem rushed?

2 A Didn't to me, no.

3 Q And, of course, you've already indicated that  
4 Captain Murphy, in your opinion, was a good, competent  
5 pilot.

6 A Yes.

7 Q Did you know or have any knowledge of Captain  
8 Hazelwood's relationship with Captain Murphy, such that  
9 whether he would know or should know how good a pilot he is  
10 or anything?

11 MR. COLE: Objection, speculation.

12 MR. MADSON: I can only ask, Your Honor, if he  
13 knows from the material he reviewed.

14 JUDGE JOHNSTONE: Just answer yes or no to that  
15 and then you can tell him how you know this, if you do  
16 know.

17 THE WITNESS: Would you repeat the question?

18 BY MR. MADSON: (Resuming)

19 Q Did you, from the material that you examined, all  
20 the material, reach any conclusions as to whether Captain  
21 Hazelwood knew the competence of Captain Murphy as a pilot?

22 A No, I didn't reach any conclusions, no.

23 Q Did you review any such material?

24 A Yes.

25 Q But you didn't review any conclusions?

1 A I didn't come to a conclusion.

2 Q Oh, excuse me, that's what I meant.

3 A I had come to the conclusion that Captain  
4 Hazelwood knew Murphy, that's all. What he thought about  
5 Captain Murphy, I didn't -- that's for Captain Hazelwood to  
6 decide, not me.

7 Q That's one of those other judgment calls, right?

8 A That's right.

9 Q And you -- I'm getting to the point now where --  
10 the transit through the Narrows, after the undocking  
11 process is completed and the tugs have left and the ship is  
12 now under a pilot, Captain Murphy.

13 A Yes.

14 Q Explain exactly what the pilot does. And maybe I  
15 can make it faster. The pilot basically tells the  
16 helmsman, "Set course at . . .," such and such, doesn't he,  
17 and speed?

18 A However he chooses to do it, yes, but basically he  
19 sets the speed and the course of the vessel, yes.

20 Q You've had Captain Murphy as a pilot before,  
21 right?

22 A Yes.

23 Q Is it fair to say that he generally has a track  
24 that he follows, pretty close?

25 A Yes, they follow as closely as they can the track

1 determined by the Coast Guard that's best to go through the  
2 Narrows.

3 Q Give an example, for instance, of what Murphy  
4 would say after you're ready to get up speed and head on  
5 out. Set course at what, what would he say?

6 A Well, when you get away from the dock, you  
7 normally swing out around -- well, from that dock, around  
8 300 or so and get out where you can -- when you're clear,  
9 you're on a course of 270, normally, to 268, 270, depending  
10 on where you end up when you pull away from the dock and  
11 head out toward the Narrows.

12 Q And you reach a point where a course change has to  
13 be made, right?

14 A Yes, and eventually they end up coming around to  
15 about 225, 224, there again depending on where the vessel  
16 is.

17 Q And of course, you're also plotting fixes as you  
18 go along?

19 A The watch mate would do that. Usually, Captain  
20 Murphy have went in and out of there, the pilots went in  
21 and out enough that they normally have their range and  
22 bearings and positions in their head that they don't  
23 actually go and plot. It's up to each individual ship to  
24 have, if they decide to have the watch -- you should have  
25 the watch mate plot so that the vessel would know where

1 they're at, but that's not something the pilot would do.  
2 That would be something the watch officer would take care  
3 of.

4 Q Do pilots such as Murphy, in your opinion, do this  
5 so routinely they can almost do it with their eyes closed,  
6 is that --

7 A Not with their eyes closed. They do it routinely  
8 and, you know, they do it competently and they do it so  
9 often that they're more familiar with the area. That's why  
10 you use a pilot. So they don't go in and plot and  
11 determine, "Well, I'm here." They know in their head where  
12 they're at. However, the ships still, for their own  
13 benefit, plot their positions.

14 Q Is plotting required by the Coast Guard, the ETS  
15 system in that area?

16 A In that area, they do their own plotting with  
17 their own radar. It's not required specifically. The only  
18 thing I know of is, with the Coast Guard, is that's  
19 something they consider in a casualty, is how often you've  
20 plotted, but --

21 Q And when you leave -- and I think you said you go  
22 along a course of 270 and eventually you change course  
23 to --

24 A Roughly 225 to enter the Narrows, yes.

25 Q If you didn't make that course change, you would

1 run into rocks on the other side of the Valdez Port, would  
2 you not?

3 A You could do that, depend -- yes.

4 Q So you have to change your course --

5 A Yes.

6 Q -- to avoid shore, rocks, whatever. You reviewed  
7 all the material on the Exxon Valdez situation and the  
8 circumstances surrounding its leaving on the 23d, right?

9 A Yes.

10 Q You knew, for instance, that the third mate was on  
11 the bridge at that time.

12 A The chief mate was on the bridge on undocking and  
13 then the third mate came up at some time during the  
14 transit. Between the dock and the Narrows I believe is  
15 where he relieved Mr. Kunkel.

16 Q Cousins relieved Kunkel.

17 A Yes.

18 Q Yes. So you knew Cousins was there from your  
19 reading. And you knew he was licensed as a second mate,  
20 right?

21 A Yes.

22 Q You obviously didn't know Mr. Cousins personally.

23 A No.

24 Q You've never sailed with him.

25 A Never sailed with him, never met him. As far as I

1 know, I've never seen him.

2 Q And you certainly never had any -- you were never  
3 in a position to personally evaluate his performance or  
4 lack of it.

5 A No.

6 Q Do you know what Captain Hazelwood knew about Mr.  
7 Cousins from your review of materials?

8 A Not really. I know that he seemed to think that  
9 -- I don't believe that --

10 MR. COLE: Objection, Your Honor.

11 JUDGE JOHNSTONE: Just a minute.

12 MR. COLE: It calls for hearsay.

13 MR. MADSON: Hearsay? Well, that's all he's  
14 testifying to.

15 JUDGE JOHNSTONE: Based on his review of the  
16 materials, I'll let him answer that.

17 BY MR. MADSON: (Resuming)

18 Q From your review of the materials, did you reach  
19 any conclusions, even, you know, other than sheer  
20 speculation, about Captain Hazelwood's experience with Mr.  
21 Cousins and what he thought of him as a competent mate?

22 A I don't remember anything saying what Captain  
23 Hazelwood thought, no. I remember Mr. Kunkel saying that  
24 he'd give him high marks on his cargo, but I don't recall  
25 specifically reading anything that Captain Hazelwood had

1 said about him.

2 Q Did you review Captain Hazelwood's statement to  
3 Mr. Delozier and the --

4 A Yes, I did. If it was mentioned in there, I don't  
5 recall at this point.

6 Q You don't recall the testimony that he said he'd  
7 sailed with him times before and he was a very competent  
8 man?

9 MR. COLE: Objection.

10 JUDGE JOHNSTONE: Just a minute.

11 MR. COLE: I object to the form of the question.  
12 I mean if he's going to impeach him, if he's using it to  
13 refresh his recollection.

14 MR. MADSON: It's to refresh his recollection,  
15 Your Honor.

16 JUDGE JOHNSTONE: I think it's a proper question.  
17 He's referring to a statement that's in evidence, Mr. Cole.

18 THE WITNESS: At this point, I can't specifically  
19 remember. I remember reading that and -- but I don't  
20 remember that there was any -- that Captain Hazelwood felt  
21 strongly, one way or the other, about Mr. Cousins. It  
22 didn't -- if he complimented him, I failed to notice it.  
23 If he criticized him, I failed to notice it. So I --

24 BY MR. MADSON: (Resuming)

25 Q Well, wouldn't you think, sir, that that might be

1 rather important in evaluating what actions Captain  
2 Hazelwood took or didn't take, his knowledge of Mr. Cousins  
3 and what he could do and what he couldn't do?

4 A I'm sure he did evaluate him and I'm sure that he  
5 made a decision and having Mr. Cousins as third mate on up  
6 through the Narrows would be -- I didn't find any fault  
7 with that. I found fault with Captain Hazelwood leaving,  
8 not being up there during the Narrows.

9 Q The question, though, was he a competent watch  
10 officer to be up there on the bridge?

11 A Oh, sure, I suppose he was, yes.

12 Q Well, do you suppose he was or do you have an  
13 opinion as to whether he was?

14 A I don't have an opinion because -- on whether Mr.  
15 Cousins was competent to be on the bridge during the  
16 passage of the Narrows.

17 Q How about the person at the wheel, do you recall  
18 who that was going through the Narrows?

19 A Mr. --

20 Q Radtke.

21 A -- Radtke.

22 Q Do you know if he was just an AB or actually had a  
23 license?

24 A He had a third mate's license, I believe, but he  
25 was sailing as an AB.



1 Q Is that an indication to you, sir, that he was a  
2 very competent -- would be a more competent person than an  
3 AB?

4 A Not necessarily. That's an indication that he had  
5 a third mate's license and was sailing as AB.

6 Q It required him to have more experience, didn't  
7 it?

8 A No, not necessarily. If he -- some of the ABs  
9 have ten or 15 years' experience and some of the ABs have  
10 as little as one year experience. And you could have a  
11 third mate's license and still not have a lot of experience  
12 as AB. But I didn't see anything to determine that Mr.  
13 Radtke was competent or incompetent at all in what I read.

14 Q Well, correct me if I'm wrong, Captain Beevers,  
15 but isn't there some kind of scheme to this licensing thing  
16 by the Coast Guard?

17 A Oh, yes. He passed the third mate's test, so I  
18 assume that he had sailed AB long enough time or else he  
19 went to one of the maritime academies and he passed the  
20 test. But the test merely tests you in certain things that  
21 you need to do. That doesn't mean that you can do them  
22 very well or that you can't do them very well. That means  
23 that you passed the test, showing that you have an idea how  
24 to do them.

25 MR. MADSON: I guess when somebody passes the

1 master's exam, it doesn't mean you're a good master or a  
2 poor one, you just pass the test, right?

3 A That's basically, yes.

4 Q In any event, let's see, on the outgoing passage  
5 through the Narrows, then, you have the pilot, Captain  
6 Murphy, who's done it many, many times --

7 A Yes.

8 Q -- conning the vessel. You have a watch officer  
9 who has a second mate's license.

10 A That's right.

11 Q You have a helmsman that has a third mate's  
12 license, even though he's not sailing --

13 A Yes.

14 Q -- as an officer.

15 A On the ship's structure, you can't use his third  
16 mate's license. He's an AB; he signed on as an AB. That's  
17 his job.

18 Q I understand that, but he still is more -- I hate  
19 to -- I'm not going to get into a nit-picky argument about  
20 whether he's more qualified or not, but he has passed an  
21 additional test, right?

22 A Yes, certainly, and that's -- you know, I'd be  
23 glad to see a third mate -- well, I'm not glad to see it  
24 because that means the industry's in a bad way. But I  
25 certainly wouldn't object to an AB being a third mate. I

1 would think he would have -- be trying to get ahead and be  
2 ambitious and be trying to do a good job and I'd be happy  
3 with that. But I can't say, from what I read, that that  
4 made him any more competent as an AB.

5 Q No, but to have the incentive to become an officer  
6 from an AB, you generally want to know more about  
7 navigation and charts and things like this, right?

8 A Oh, yes, sure.

9 Q If you're in a particular area, Prince William  
10 Sound, you would naturally -- and, again, I say normally --  
11 want to be familiar with the area, navigational hazards and  
12 things like this.

13 A Yes, I would think that that would certainly be a  
14 credit to him and be a plus, just from reading, but I think  
15 -- you know, that doesn't mean that he's still a good AB.  
16 I had nothing to base a decision on his ability as an AB.

17 Q I presume you would agree that Captain Hazelwood  
18 would be in a better position than you to evaluate his  
19 performance.

20 A Certainly, yes.

21 Q Now the VTC, the vessel control center, while  
22 you're going through the Narrows -- and the number of times  
23 you've done that -- you know you're on radar there, aren't  
24 you?

25 A Oh, yes, yes.

1 Q Have you ever gone off course and had them get on  
2 the radio and correct you?

3 A Not in the Narrows.

4 Q Where did that happen?

5 A Okay, I had a conversation with them, coming  
6 inbound from Bligh Reef years back, when they first started  
7 -- where the Valdez Traffic called and said that I would  
8 out of the traffic line, I was in the separation zone.

9 Q Were you?

10 A No, they -- at the time they said, you know,  
11 "You'd better alter your course to starboard or  
12 something." I said, "I'll check my position first," and I  
13 checked and I was in the traffic line. By the time I  
14 finished checking, they came back and said, "We made an  
15 erroneous plot. Disregard that," and that was -- so at  
16 that time, they had radar monitoring, at least out to the  
17 Bligh Reef area.

18 Q You said at that time. When was this, sir?

19 A That was in '78, '79, somewhere in there.

20 Q What about '86, '87?

21 A I didn't -- at that time when I was still sailing,  
22 I assumed they still had radar following.

23 Q So you assumed if you got off course, the Coast  
24 Guard was going to let you know. In fact, they did that  
25 time.

1           A     They did in that case, but I didn't -- I assume  
2 they were watching. Whether they -- I never relied on the  
3 Coast Guard to tell me where I was at out there, but I  
4 assume they were monitoring that, yes.

5           Q     You didn't rely on them as a navigation tool, but  
6 certainly you knew they were watching you. If something  
7 unusual happened, they certainly made contact.

8           A     That's right, definitely.

9           Q     And certainly there's no question in your mind  
10 that you were being monitored going through -- when you're  
11 going through Valdez Narrows.

12          A     Yes, yes.

13          Q     There's a speed limit there, I think you said,  
14 loaded --

15          A     Six knots, yes.

16          Q     Coming in unloaded, there's no speed limit.

17          A     I think it's 12 knots inbound, but you go through  
18 a maneuvering speed and that's in that range, but,  
19 outbound, I definitely know it's six knots.

20          Q     So 12 knots is, you say, maneuvering speed and  
21 that is apparently safe speed to transit the Narrows.

22          A     In that particular area, in ballast, yes.

23          Q     You can make maneuvers quick enough at 12 knots to  
24 avoid any hazards, such as Middle Rock, things like this.

25          A     Yes.

1 Q Now you said that you would be on the bridge or  
2 always are on the bridge going through the Narrows.

3 A Yes.

4 Q Let's assume you were in this situation on  
5 March 23d and you've got the conn with Captain Murphy,  
6 you've got Cousins, second mate, acting as third, you have  
7 a helmsman who's a third mate acting as an AB. And is  
8 there also a lookout?

9 A Yes, there would be a lookout on the bow.

10 Q On the bow.

11 A Yes.

12 Q So you have all these people and their job is to  
13 safely navigate that vessel through the Narrows, right?

14 A Yes.

15 Q Everyone of them's duty is the same, is it not?

16 A Their duties are not the same, but their goal is  
17 the same, to safely navigate the vessel through the  
18 Narrows, yes.

19 Q Oh, I stand corrected.

20 A Yes.

21 Q Their duties might be different in that one of  
22 them is plotting a fix and one of them is looking out, but  
23 the whole aim and purpose is to make sure you don't hit  
24 anything.

25 A That's right.

1 Q It seems like enough people to do that, doesn't  
2 it?

3 A You're short one.

4 Q You still want that -- you say they have to have  
5 that extra pair of eyes.

6 A The master. In a situation like that, yes, you  
7 need the master on the bridge. That's by every standard  
8 that I know of in the maritime industry, yes.

9 Q What written standard is that?

10 A That I don't know. I know that that's certainly  
11 one of the things in a grounding or in a collision or  
12 marine casualty, that's certainly one of the first things  
13 that the Coast Guard and all the courts will want to  
14 determine is was the master on the bridge and that's one of  
15 the things that they take into account in evaluating --

16 Q Might take it into account.

17 A Yes.

18 Q Would you agree, sir, it would also depend on the  
19 situation?

20 A Oh, yes, if you're out in the middle of -- if  
21 you're out in the middle of the ocean or off the coast,  
22 there's certainly reasons not to be on the bridge. But in  
23 a situation where a minute's delay in maneuvering the  
24 vessel -- the master should be on the bridge and that's  
25 traditionally been his duties.

1 Q Traditionally been his duty.

2 A Yes.

3 Q But in this particular instance, it was a routine  
4 transit, right?

5 A Oh, yes, that's --

6 Q Nobody made any errors whatsoever.

7 A No, that's right, it went just fine without him  
8 there, but --

9 Q This transit had absolutely nothing to do with the  
10 grounding, did it?

11 A The transit -- the only thing it had to do with  
12 the grounding is they got out, but it had nothing to do  
13 with the grounding, no, basically. It was a routine,  
14 normal transit that went just fine.

15 Q They didn't come close to hitting anything.

16 A No.

17 Q There was no substantial risk that the vessel was  
18 going to be run aground, based on what you saw, evaluated.

19 A No more risk than you normally have. I mean any  
20 time you're moving a vessel that large in a narrow channel,  
21 there's a risk. That's why we take so many precautions.  
22 But there was nothing undue or nothing unusual about that  
23 transit, no.

24 Q And, of course, there's a certain risk in almost  
25 everything we do, is there not?



1 A Certainly.

2 Q You flew up there in a plane. There's a risk in  
3 that.

4 A That's right.

5 Q You assumed the pilot and the copilot know what  
6 they're doing and the mechanics didn't make a mistake.

7 A Yes, as the passenger, you have to.

8 Q But you had -- I would ask a question -- a routine  
9 flight?

10 A Yes.

11 Q So while there may be a risk involved in going  
12 through Valdez Narrows and that risk you say would be  
13 increased if Captain Hazelwood wasn't on the bridge, you  
14 can't give us any opinion as to the degree of risk.

15 A Oh, you mean ten percent, two percent?

16 Q Yes, five percent, two percent.

17 A No, that would be --

18 Q Sheer speculation, right?

19 A Yes.

20 Q Now I want to ask you questions about the captain  
21 being back on the bridge, when he came back. You evaluated  
22 the materials with regard to that, right?

23 A Yes.

24 Q Is it correct that the captain, from what you  
25 learned, was back on the bridge at 10:52 p.m., at about

1 Potato Point?

2 A There seemed -- that's one of the things that --  
3 it really makes no difference what time he came back.

4 Q The question was is that what --

5 A I didn't determine if that was the time he'd come  
6 back, no. From everything I've read, there seemed to be  
7 some confusion, so I didn't make a determination of the  
8 exact time he came back to the bridge. I know, for a fact,  
9 that he was on the bridge before Captain Murphy left, but  
10 what time before that, I don't think that I ever reached a  
11 conclusion.

12 Q Well, you didn't review any of the material of the  
13 trial, right --

14 A No.

15 Q -- the witnesses who testified --

16 A No.

17 Q -- assuming there was testimony?

18 A I read Mr. Cousins. But I don't know for a -- you  
19 know, I didn't make a conclusion on that. It didn't really  
20 -- at that point, his time back on the bridge didn't --  
21 wasn't that -- he'd missed coming through the Narrows is  
22 what I concluded was bad. The rest of it, he was out there  
23 before Captain Murphy left, so I didn't see what difference  
24 it made what time he came up exactly.

25 Q Well, let me ask you if it made any difference in

1 -- you said that coming back up late, before the pilot gets  
2 off, he has to discuss things with the pilot, right?

3 A Well, as far as -- yes, he'd be up to discuss  
4 things with Captain Murphy and I assume that --

5 Q You assume he did that.

6 A He must have discussed whatever -- that's part of  
7 his duties. If Captain Murphy was there and Captain  
8 Hazelwood came up, I'm sure they discussed the changeover  
9 of the conn, yes.

10 Q How long would that normally take, from your  
11 experience?

12 A That would just take a matter of a minute or two.  
13 The critical thing about the time is that once the conn has  
14 been changed, Captain Murphy then has to go down and  
15 disembark, which is a matter of four or five minutes, just  
16 a matter of timing, that he should relieve him in time to  
17 be down at the boat when the boat is there and the ship's  
18 in position to change -- let the pilot off.

19 Q Well, was there any delay in the pilot leaving, as  
20 far as you have determined?

21 A No, not that I know of, no.

22 Q Assuming that the testimony at the trial showed  
23 the captain to be back on the bridge at 10:52 and the pilot  
24 was off at 11:24, that, by my math which is not the  
25 greatest, is 32 minutes, is that correct?

1 A If he was up there, yes.

2 Q Yes.

3 A And that's sufficient time. And from what I read,  
4 I didn't determine that he was back that early, but that's  
5 -- I'm sure, at this time -- nobody's helping people in and  
6 out. I'm sure we'll not know.

7 Q Would it have helped if you had been sitting in  
8 the Court and listening to the testimony of various  
9 witnesses to get these times down before you reached these  
10 opinions and conclusions?

11 A If I'd have heard the times and realized that they  
12 were completely different from what I read, I would assume  
13 that maybe there was some confusion either on the first  
14 time or on the second time. I wouldn't be able to  
15 determine which time was correct.

16 Q Well, let's suppose that --

17 A You know, I don't understand the --

18 Q Well, the question is when would you ever change  
19 your mind, sir? When would you ever think that, "Maybe I  
20 made a mistake here. Maybe he got off earlier. Maybe  
21 there was enough time"?

22 A I'm not saying it would make it -- it seemed to  
23 me, from the information I had at first is that they had to  
24 call the captain twice to get him to come up to the bridge.

25 Q And that's the only information you have?

1           A     And just exactly what the time was when he got up  
2 there, I don't know, but if they had to call him a second  
3 time to get him up there, then he's kind of crowding the  
4 time and just rushing things.

5           Q     And you said "if." That's again assuming  
6 something. You're making an assumption that that's  
7 correct.

8           A     Okay.

9           Q     Okay. I'm asking you to assume that there was one  
10 call and he was up at Potato Point, off Potato Point at  
11 10:52 p.m. Would this change your opinion or conclusion at  
12 all, if that is correct?

13          A     If that is correct, yes, that would change my  
14 opinion, yes.

15          Q     Then what would your opinion be changed to?

16          A     My opinion on the -- I'd assume that he had been  
17 up there in time to relieve Captain Murphy.

18          Q     And you reviewed the letting go of the pilot and  
19 what happened there, right?

20          A     Yes.

21          Q     No criticism of that, I take it.

22          A     It seemed to go all right, yes.

23          Q     Now the LPU, load program up, you said that was  
24 on, from your review of the materials, at 11:52 p.m.

25          A     I believe that's the time, yes. I mean I believe

1 so, yes.

2 Q I'm not trying to pin you down on something and if  
3 you disagree with me, please do so.

4 A Yes.

5 Q I'm just reviewing my notes, okay? So assuming  
6 that was on at 11:52, load program up is when you put this  
7 on a computer to make the engine start speeding up, right?

8 A Yes.

9 Q How long does it take to get up that speed, sea  
10 speed?

11 A From the information I've received, it seems to me  
12 about 40 minutes is what, somewhere in that -- considerable  
13 time, yes.

14 Q So it's a slow, gradual buildup, right?

15 A Yes.

16 Q It isn't like just taking the throttle and ramming  
17 her up.

18 A No.

19 Q Can you take that load program off at any time?  
20 You just push a button and stop it?

21 A Yes, you can, yes.

22 Q So if you decide you want to go slower or change  
23 your speed, you can just push a button and take it off.

24 A Yes, but you can't -- what you take off is the  
25 excess speed that you've built up. I mean your ship is

1 still moving faster than maneuvering speed, even though  
2 you've brought this throttle back, yes.

3 Q It will slow down. It isn't like you've got  
4 brakes on a car.

5 A Oh, yes, yes. No, eventually, it will slow down,  
6 sure.

7 JUDGE JOHNSTONE: Mr. Madson, I have a matter at  
8 10:00 o'clock I need to take up in my office and I need to  
9 prepare for it. So if you don't mind, I'd like to take a  
10 break a little earlier than usual.

11 MR. MADSON: Oh, that's fine, Your Honor, we could  
12 take a break now if you want, sure. In fact, I was going  
13 to request one myself, thanks.

14 JUDGE JOHNSTONE: All right, good. Remember my  
15 instructions, ladies and gentlemen, not to discuss the  
16 matter among yourselves or with any other person. Don't  
17 form or express any opinions.

18 THE CLERK: Please rise. This Court stands  
19 recessed.

20 (Whereupon, the jury leaves the courtroom.)

21 (Whereupon, at 9:51 a.m., a recess is taken.)

22 (Whereupon, the jury enters the courtroom.)

23 THE CLERK: This Court now resumes its session.

24 BY MR. MADSON: (Resuming)

25 Q Captain Beevers, I'd like to take a moment or two

1 and review your testimony and opinions regarding Captain  
2 Hazelwood's decision to go around or avoid ice. Do you  
3 recall testifying on that subject, sir?

4 A Yes.

5 Q If I understand your testimony correctly -- and,  
6 please, let me know if I'm wrong -- but you see the chart  
7 right next to you there?

8 A Yes.

9 Q You describe where the ice was and the route  
10 Captain Hazelwood took. Would you agree that he could have  
11 gone around or do you believe that the best course of  
12 action would be to come closer to the ice, check it out and  
13 perhaps slow down and maneuver through it?

14 A I didn't say that was necessarily the best. I  
15 said that would have been the first thing I would have  
16 looked at to do. You know, I said there were four things  
17 that he could do. One, of course, is stay at the dock.  
18 Two is to come up and look and check the ice out. And I  
19 have found, at times, that that was the best route to take  
20 and I've done that. The third choice, of course, is to go  
21 on around the ice, assuming there's enough sea room. The  
22 fourth course is to determine that you didn't want to do  
23 this, to start around and determine that you didn't have  
24 enough sea room, and maneuver back through the ice as best  
25 you could at that point.



1 Q And of course you're looking at it by review of  
2 certain materials that were given to you.

3 A Yes.

4 Q And you did not have the luxury of being there at  
5 the time, looking through the radar and things like this,  
6 right?

7 A That's right, yes.

8 MR. MADSON: By the way, I'd like to get this  
9 marked, if I could.

10 (Defendant's Exhibit AC was  
11 marked for identification.)

12 MR. MADSON: Your Honor, I would like the Court to  
13 examine this statute, which is 46 USC, United States Code,  
14 738C, and ask the Court to take judicial notice.

15 JUDGE JOHNSTONE: Do you need to review this?

16 MR. COLE: No, I've read it.

17 JUDGE JOHNSTONE: Any objections.

18 MR. COLE: My objection is to relevance.

19 JUDGE JOHNSTONE: All right, your objection is  
20 overruled. The Court will take judicial notice of that  
21 Section 46 USC 738C. And, Mr. Madson, this was the statute  
22 that was in effect March 23d, 24th, 1989?

23 MR. MADSON: As near as I can determine. I have  
24 not found any evidence that it's been altered or repealed  
25 or anything. I've checked the pocket part, Your Honor, the

1 supplement. There appear to be no changes.

2 JUDGE JOHNSTONE: All right.

3 MR. MADSON: Of course, Your Honor, I crossed out  
4 what I thought was the irrelevant part. I only ask the  
5 Court to take judicial notice of (A), and not (B), just so  
6 you understand. I don't think that applies.

7 JUDGE JOHNSTONE: You requested 738C(A) and I will  
8 take judicial notice of that section.

9 BY MR. MADSON: (Resuming)

10 Q Captain Beevers, I want to hand you now what's  
11 been marked as Defendant's Exhibit AC and ask you if you're  
12 familiar with the federal statute.

13 A Yes, I'm familiar with that.

14 Q How did you become familiar with that, sir?

15 A You just showed it to me and I was --

16 Q Well, before that.

17 A Before that, this is -- I have never specifically  
18 read that, but, yes, I know the law is that you either  
19 maneuver to moderate speed or avoid ice, if possible.

20 Q Okay, the law, then, is that the master of every  
21 vessel in the United States, when ice is reported at or  
22 near this course --

23 A Yes.

24 Q -- shall proceed at a moderate speed or alter his  
25 course so as to go well clear of the danger zone, right?

A Yes.

1 Q Now that statute doesn't say, "When you encounter  
2 ice, contact Captain Beevers and check, see what he would  
3 do," does it?

4 MR. COLE: Objection, argumentative.

5 JUDGE JOHNSTONE: I think that you can get to your  
6 point without a nonargumentative question. Sustained.

7 BY MR. MADSON: (Resuming)

8 Q The statute gives -- the United States Congress  
9 gives the master of the vessel the clear option to do  
10 either one, does it not?

11 A Yes.

12 Q And in doing that, in going well clear of the  
13 danger zone, that master can look at the situation,  
14 evaluate it at the time and decide on a course of action  
15 which will take him well clear of the danger zone.

16 A Yes. You have to -- but any time you're  
17 navigating a vessel, you not only have the ice danger, you  
18 have the danger of shoal water, you have the danger of  
19 adjoining land that you have to consider.

20 Q You've got to decide on your options, right?

21 A That's one of the options, yes.

22 Q You decide how close it's safe to go to certain  
23 rocks or shoals. On the other hand, you decide how safe it  
24 is to go to the ice.

25 A That's right.

1 Q And I think your view said -- your criticism of  
2 Captain Hazelwood's judgment was that he apparently went  
3 too far from the ice when he made his maneuvers.

4 A My basic criticism is that I thought he made his  
5 decision too early, without really evaluating it  
6 carefully. And then when he did make his decision, when  
7 his decision was made, I still don't necessarily -- I'm not  
8 going to say that that was the wrong decision, I wasn't  
9 there. But when he -- his error in going around the ice  
10 was the fact that he started increasing his speed before he  
11 was completely around the ice, put the vessel on automatic  
12 steering and left the bridge. I have no -- I mean he may  
13 have made -- as far as the ice went that night, that may  
14 have been the correct decision. I merely gave four choices  
15 that he had and which one I would have looked at first.

16 Q Okay, that was -- if we can put it in a nutshell,  
17 that was simply your personal preference and other masters  
18 may do things totally the opposite.

19 A Oh, yes.

20 Q And in fact, sir, you, in your evaluation of  
21 materials prior to testifying here today, looked and  
22 examined the course of the ARCO Juneau, did you not?

23 A Yes.

24 MR. COLE: Judge, I object. May we approach the  
25 bench?

1 JUDGE JOHNSTONE: All right.

2 (The following was said at the bench.)

3 MR. COLE: My objection is (inaudible). The  
4 course recorder of the ARCO Juneau and the Texaco  
5 (inaudible).

6 JUDGE JOHNSTONE: (Inaudible.) The facts are not  
7 necessarily in evidence. He's asking his opinion on based  
8 on what (inaudible).

9 (The following was said in open Court.)

10 BY MR. MADSON: (Resuming)

11 Q Captain Beevers, where did you examine the charts  
12 and other materials relating to the ARCO Juneau?

13 A In the Anchorage District Attorney's Office.

14 Q It was material that Mr. Cole had provided you to  
15 look at?

16 A Yes.

17 Q And when was that?

18 A Fairly recently here, within the last couple of  
19 weeks or last week.

20 Q When did the ARCO Juneau depart Valdez, do you  
21 recall?

22 A At this point, I don't remember the date, no.  
23 They -- let's see. No, I do, too, the Juneau was the last  
24 vessel -- excuse me, I had the two mixed up. The Juneau  
25 was the vessel, the ARCO Juneau was the vessel before the

1 Valdez.

2 Q The one immediately before the Exxon Valdez.

3 A Four hours. Yes, I had the two mixed up, okay.

4 Q How about the Brooklyn?

5 A That was some time previous to that. Whether it  
6 was the same day or the day before, I don't remember. It  
7 was previous to the ARCO Juneau.

8 Q Do you know if it was the next vessel? In other  
9 words the Brooklyn, the ARCO Juneau and the Exxon Valdez,  
10 in that order?

11 A That could be correct, I can't say. I know the  
12 Juneau was before the Valdez. Whether there was a ship  
13 between the two, I don't remember at this point, but it was  
14 in the same time.

15 Q Do you recall, sir, what the course of the ARCO  
16 Juneau was when it went out? And by "course," I mean in  
17 the vicinity of Bligh Reef -- what the vessel did when it  
18 encountered ice.

19 A Yes, they went around the ice.

20 Q Could you just show the jury basically the course  
21 they took?

22 A They came down and dropped the pilot off. Let me  
23 get around. See, this thing glares and it's hard to see.  
24 They came down and then crossed over and came down around  
25 the ice and clear of Bligh Reef.

1 Q How close did they get to Bligh Reef?

2 A According to my calculations, they were close to  
3 8/10ths off it. According to theirs, they were I think  
4 about 5/10ths or 6/10ths of a mile off the buoy. And so --

5 Q According to their --

6 A According to their plots that they laid down on  
7 it. And -- go ahead.

8 Q Would it refresh your recollection to look at a  
9 copy of that particular plot, sir?

10 A It would. I don't really need to because I know  
11 how close they laid out their course. When I laid it out,  
12 it was a little further off than that. That was, you know,  
13 sketchy information.

14 Q So if you don't need to look at that --

15 A No, I know where they went and so go ahead.

16 Q What speed was the ARCO Juneau at?

17 A The ARCO Juneau was going full sea speed at that  
18 point.

19 Q What was that, sir?

20 A 16 knots.

21 Q 16 knots. And do you recall what its course was  
22 coming from the separation zone in the lane where it  
23 altered to avoid the ice? What course did --

24 A At this point, I don't, no. I'd have to look at  
25 the course recorder to see.

1 MR. MADSON: Perhaps I should get this marked,  
2 just so the record will be clear.

3 (Defendant's Exhibit AD was  
4 marked for identification.)

5 BY MR. MADSON: (Resuming)

6 Q Let me show you the chart, sir, and ask you if you  
7 can examine that to refresh your recollection.

8 A Let's see, there's no -- ah, here it is.

9 Q I realize that you'd have to estimate the course,  
10 but as best you can.

11 A At this point right here, he's going -- let's  
12 see, 180 -- he's probably going 175 maybe, I'd guess.

13 Q Well, when you say "at this point," would you  
14 explain to the jury what that means?

15 A Yes, I'm looking at two fixes here. One is in the  
16 northbound lane at 1903 and another one that's at 1908.  
17 And I would say at that point, he's probably steering at  
18 close to 175, 1905 that may be. It's hard to read his  
19 writing here.

20 Q Maybe this one would illustrate better.

21 JUDGE JOHNSTONE: Which exhibit is that, Mr.  
22 Madson?

23 MR. MADSON: This is Defendant's Exhibit Number  
24 122.

25 THE WITNESS: Okay, he's started up here from



1 1903, somewhere -- "See Note A" signed here. What do we  
2 have here? Okay, right about in here somewhere, he came  
3 out of this and came south at 175, down to a point just  
4 short of here, and then turned and came down.

5 BY MR. MADSON: (Resuming)

6 Q And then turned, turned to the what direction.

7 A Turned right. To starboard, yes, to the right.

8 Q And he was traveling at what speed when he was in  
9 the area before he made his turn?

10 A I remember calculated that he averaged around 16  
11 knots there.

12 Q And the Exxon Valdez in the same area was 12.4?

13 A 12 knots. Yes, I'm not -- when I reviewed this, I  
14 didn't say that I approved of what they did, by the way.  
15 That's --

16 Q Okay, we'll get to that in a minute. But, anyway,  
17 16 knots and he comes within I think you said, according to  
18 his calculations, 5/10ths or 6/10ths or a mile off Bligh  
19 Reef.

20 A Yes, something like that.

21 Q Would you agree, sir, that this appears to be an  
22 accurate copy of the chart that you examined in the  
23 District Attorney's Office?

24 A Yes, yes.

25 MR. MADSON: I would ask that this be admitted,

1 this exhibit, Your Honor.

2 JUDGE JOHNSTONE: AD, any objections?

3 MR. COLE: No, I don't.

4 JUDGE JOHNSTONE: AD is admitted.

5 (Defendant's Exhibit AD was  
6 received in evidence.)

7 BY MR. MADSON: (Resuming)

8 Q And Captain Murphy, I think you volunteered  
9 something there when I was asking you to show us the plot  
10 of that vessel. You said you didn't approve of what was  
11 done, right?

12 A Yes, that's right.

13 Q Would you consider the captain's or master's  
14 actions reckless for what he did there? I mean gaining 16  
15 knots, full speed, sea speed, makes a turn a half mile from  
16 Bligh Reef.

17 A Yes, I would.

18 Q Do you know if he was prosecuted or not?

19 A I don't believe he was and I don't know of any  
20 intention to.

21 Q You said you also examined material relating to  
22 the ship, vessel known as the Brooklyn.

23 A The Brooklyn, yes.

24 Q Can you remember the course that that vessel took?

25 A I don't remember the exact course. Generally,

1 they came down and came the same way, except they stayed a  
2 little out in here and turned. I don't believe they ever  
3 got over, they didn't get over behind Bligh Reef area.  
4 They stayed this side of it as they came down. I'd have to  
5 look at it, but they -- the Brooklyn was --

6 Q Well, maybe we can get --

7 A Yes, if you can let me see the chart, I can  
8 probably work better from that. It's hard to remember  
9 exactly when he --

10 Q Excuse me one second. I have to have this marked,  
11 too.

12 (Defendant's Exhibit AE was  
13 marked for identification.)

14 BY MR. MADSON: (Resuming)

15 Q I hand you Exhibit AE.

16 MR. COLE: (Inaudible.)

17 MR. MADSON: I'm sorry, I forgot.

18 JUDGE JOHNSTONE: Show it to Mr. Cole first.

19 BY MR. MADSON: (Resuming)

20 Q I hand you again, sir, Exhibit AE and ask you if  
21 that refreshes your recollection.

22 A Yes.

23 Q Could you show the jury approximately the course  
24 of the Brooklyn when it left and went around the ice?

25 A Okay, it came over and it was in the inbound lane

1 off from -- by the time it got down here off of Busby, and  
2 then it slowly went out of the lane in a direction like  
3 this and was out of the lane at this point and, at Bligh  
4 Reef, it came back across.

5 Q How close did it get to Bligh Reef?

6 A I'd have to -- let me see if I could-- no, there's  
7 no --

8 Q No scale on there?

9 A No. I would say, gosh, I don't remember now,  
10 6/10ths of a mile, something of that sort, if I'm not  
11 mistaken, 6 or 7/10ths. But the thing that's better about  
12 the Brooklyn is that they took frequent fixes. They were  
13 on maneuvering speed and they had the captain on the  
14 bridge.

15 Q Did either of those vessels actually lay down  
16 track lines? You said they took fixes, but they didn't  
17 prepare a track line, did they?

18 A I see a track line on this. I don't know if that  
19 was laid down or not before or after.

20 Q What about the ARCO Juneau?

21 A I don't believe they laid down a track line, no.

22 Q Then, sir, another matter. Did you examine the  
23 licenses of the masters of either of those two vessels?

24 A I know -- I didn't examine the license. I know  
25 that the master on the Brooklyn did not have Prince William

1 pilotage, that the state pilot brought them down off of  
2 Bligh Reef.

3 Q So the pilot got off at Bligh Reef?

4 A Somewhere down in that area, yes.

5 Q How about off of Busby?

6 A Off from Busby, okay, that --

7 Q Okay, let's show the jury where those two are.

8 Show the jury, first of all, where Rocky Point is on there.

9 A Okay, let me get this pointer out. Rocky Point is  
10 right here.

11 Q That's the normal pilot station.

12 A Yes. And Busby's Island is, right here.

13 Q And where is Bligh Reef?

14 A Bligh Reef is right here.

15 Q So the pilot got off at Busby Island. Then the  
16 master did not have federal pilotage endorsement at that  
17 point, going around Bligh Reef, right?

18 A No, he did not have pilotage. He was going --  
19 acting under this letter I believe that the Coast Guard  
20 had.

21 Q Are you sure of that?

22 A I'm not sure. How can I be sure? I assume that's  
23 what he was operating under.

24 Q Well, that's what I'm asking you, if you're  
25 assuming or if you're sure.

1           A     Yes, because that's -- the standard practice is  
2 that if they don't pilotage, they operate under the --

3           Q     But you have no way of knowing if he contacted;  
4 the master contacted the Coast Guard and said, "I am now  
5 operating without pilotage and . . .," check, check, check,  
6 right?

7           A     I have no way of knowing that, no. Part of the  
8 program when they leave the dock is that they advise the  
9 Coast Guard if there's pilotage aboard and, at that point,  
10 the Coast Guard would -- if, when they say no, I would  
11 assume the Coast Guard would come in and say, "Well, this  
12 is how we want you to do it," and that's the way the  
13 standard is in the industry at that point.

14          Q     And would it make more sense for the pilot to get  
15 off at Rocky Point, the pilot station, rather than to stay  
16 on to Busby Island?

17          A     Normally, when they don't have pilotage, they come  
18 down -- being I always had pilot, had license, I never had  
19 to worry about it. But I assumed, from my reading, that  
20 they'd get off somewhere down around Bligh Reef.

21          Q     Well, when you say somewhere around Bligh Reef,  
22 would that include, in your opinion, Busby Island?

23          A     When I say Bligh Reef, I would assume around Bligh  
24 Reef. If they're getting off at Busby Island, I didn't  
25 know that.

1 Q Well, in this case, you knew that, right?

2 A Yes.

3 Q So the pilot stayed on past what you believe to be  
4 the normal pilot station at Rocky Point, proceeded farther  
5 south to Busby Island and got off there.

6 A Yes.

7 Q The master did not have federal license  
8 endorsement.

9 A Right.

10 Q And then from that point to Bligh Reef buoy, he  
11 was operating without a state pilot and without his  
12 endorsement, right?

13 A That's correct.

14 Q And you don't know whether he contacted the Coast  
15 Guard and got this waiver or not.

16 A The normal practice is that it's done. I don't  
17 know that it was done, no.

18 Q Now getting to the chart there, which I think is  
19 Exhibit 122, you identified as the track line or the course  
20 of the Exxon Valdez.

21 A Yes.

22 Q When you compare that track line or that decision  
23 to go around the ice with either the Brooklyn or the ARCO  
24 Juneau, is there a substantial difference in avoiding ice  
25 by any of the three vessels? I say substantial.

1           A     I would say -- was there a substantial difference  
2 between the Brooklyn and the Juneau, no, because the  
3 Brooklyn is never steering where they're coming behind the  
4 buoy. They're steering this side of the buoy all the  
5 time. And the ARCO Juneau and the Exxon Valdez both were  
6 steering over into an area that increases the risk and  
7 increases the chance of grounding.

8           Q     If I understand you correctly, you're saying that  
9 the intent of the master and the -- or the third mate on  
10 the Exxon Valdez was to actually enter the red sector to  
11 make the turn?

12          A     No, I said they're heading that way.

13          Q     Oh.

14          A     Which means that they it takes more care. Any  
15 time you're maneuvering to an area where if you don't do  
16 something positive, you're increasing the risk.

17          Q     Well, you're increasing the risk any time you're  
18 heading toward any object there, right?

19          A     That's right, yes. But I -- as I said before, I  
20 have no -- you know, that was one of his decisions to make,  
21 to come this way. The main fault I have in that is that  
22 the captain left the bridge before all this was completed.

23          Q     Okay. So you're not really being critical about  
24 his decision to go around the ice in the manner that he  
25 did.



1           A     If he had sea room, this is certainly a legitimate  
2 maneuver to make, yes.

3           Q     If I understand correctly, you said you didn't  
4 examine the license of the master of the ARCO Juneau,  
5 right?

6           A     How I got my information that he is licensed and  
7 how I got my information that the Brooklyn was unlicensed  
8 is from conversations with someone in the District  
9 Attorney's Office that had contacted me. I'm not just  
10 sure --

11          Q     Do you recall who the master of the Exxon --  
12 excuse me, the ARCO Juneau was?

13          A     I didn't look at his name, no.

14          Q     Rick Knowlton doesn't ring any bells?

15          A     Knowlton, yes, okay, now remember. I didn't  
16 remember it. You know, I wasn't concerned with his name.  
17 In fact, maybe I even have seen his license. I don't  
18 remember, at the time, but I --

19               MR. MADSON: Let me just have this marked.

20                               (Defendant's Exhibit AF was  
21                               marked for identification.)

22               BY MR. MADSON: (Resuming)

23          Q     Let me hand you, sir, Defendant's Exhibit AF and  
24 ask you if you can examine that and if it refreshes your  
25 recollection of having seen it before.

1           A     Well, it's hard -- there again, everything's the  
2 same, except the name on this, as most people. But this is  
3 -- okay, yes.

4           Q     Yes, what?

5           A     I have seen this before.

6           Q     When did you see it?

7           A     I believe this was part of information on the ARCO  
8 Juneau that we got, yes. I just --

9           Q     You say "we got." You got that --

10          A     Through the District Attorney's Office, yes.

11          Q     Now what does that purport to be, sir?

12          A     That's Mr. Knowlton's, Captain Knowlton's license,  
13 includes his radar observer and his pilotage.

14          Q     What does the pilotage endorsement say?

15               MR. COLE: Objection, hearsay.

16               JUDGE JOHNSTONE: Don't answer the question.

17               MR. MADSON: Well, Your Honor, this is material  
18 he's reviewed that was provided to him by the State. If  
19 they have a serious objection as to the authenticity of  
20 this, maybe that's it, I don't know. But this witness has  
21 been testifying about nothing but hearsay. He has no  
22 firsthand knowledge.

23               JUDGE JOHNSTONE: Objection sustained.

24               MR. MADSON: On hearsay grounds, Your Honor?

25               JUDGE JOHNSTONE: Yes, sir.

1 MR. MADSON: May I approach the bench?

2 JUDGE JOHNSTONE: No, sir. Just because  
3 objections on hearsay haven't been made doesn't mean they  
4 couldn't have been made. Now the objection is hearsay.  
5 Unless you're going to show me an exception, Mr. Madson, it  
6 is hearsay.

7 MR. MADSON: The exception, Your Honor, is this is  
8 an expert witness who is entitled to and does rely upon  
9 hearsay and, in fact, all his testimony has been based on  
10 hearsay, including this very document.

11 JUDGE JOHNSTONE: There's no question an expert  
12 can base their opinion on hearsay and you're asking an  
13 opinion, that's okay. But the admissibility of a document  
14 that is hearsay would be prohibited.

15 BY MR. MADSON: (Resuming)

16 Q Now, sir, reviewing that, do you have an opinion  
17 as to the license that -- the federal license, pilot  
18 endorsement that Captain Knowlton had? What's his  
19 endorsement say?

20 A This is --

21 MR. COLE: Objection, hearsay.

22 BY MR. MADSON: (Resuming)

23 Q Well, do you have an opinion -- let me say this.

24 MR. MADSON: Withdraw that.

25 BY MR. MADSON: (Resuming)

1 Q Do you have an opinion, sir, based on this  
2 obviously hearsay document, as to whether or not Captain  
3 Knowlton had the appropriate federal endorsement for the  
4 Prince William Sound area between Busby and Bligh Reef,  
5 Busby Island and Bligh Reef?

6 A He has the appropriate pilotage from Hinchinbrook  
7 up to Busby Island.

8 Q But not to Bligh Reef -- I mean not -- to Busby  
9 Island, but not to the -- excuse me, not up to Rocky Point.

10 A Not up to Rocky Point.

11 Q And Rocky Point is the state pilot station.

12 A That's my -- the pilot boat is at Rocky Point and  
13 my license reads to Rocky Point and, yes, this doesn't.

14 Q And Knowlton's only goes to Busby.

15 A Yes.

16 Q Do you know whether or not the pilot was on board  
17 during the transit between Rocky Point and Busby Island?

18 A That I don't know.

19 Q Did you review any materials at all on that?

20 A I looked -- what I looked at was the -- I think  
21 they sent the license. I think they sent the course  
22 recorder. And I don't recall, the bell book maybe they  
23 sent, I'm not sure.

24 Q Well, from the materials --

25 A It's been quite awhile back and I've been

1 reviewing a lot of things, so it's hard to say exactly  
2 what. They had pretty skimpy information to start with on  
3 it.

4 Q From all the materials you reviewed, could you  
5 determine where the pilot got off?

6 MR. COLE: Objection, hearsay.

7 MR. MADSON: I'm just asking if he could reach a  
8 conclusion, not what it is.

9 JUDGE JOHNSTONE: Counsel approach the bench,  
10 please.

11 (The following was said at the bench.)

12 JUDGE JOHNSTONE: You're getting into a collateral  
13 area (inaudible) Rule 611. Mr. Madson, you're going to  
14 have to get back on track. And pretty soon, this is going  
15 to be an unnecessary consumption of time (inaudible) with  
16 this witness and where the pilot got off. I'm going to let  
17 you go a little longer, but I'm going to exercise  
18 (inaudible). The objection to hearsay is overruled at this  
19 time.

20 (The following was said in open Court.)

21 BY MR. MADSON: (Resuming)

22 Q Captain Beevers, if -- and when I say "if," I'm  
23 assuming -- the state pilot got off at Rocky Point and the  
24 ship was under the command, direction and control of the  
25 captain then who did not have endorsement between Rocky

1 Point and Busby Island, he would then be in noncompliance,  
2 wouldn't he?

3 A Unless he had reported that to the Coast Guard and  
4 they started this nonpiloting program to run it between  
5 Rocky Point and Busby Island, yes.

6 Q And you don't know whether that was done or not.

7 A No, I have no information on that, one way or the  
8 other.

9 Q Now getting to the course of the Exxon Valdez as  
10 it -- you reviewed all the materials, the course change was  
11 made as it came out of the arm, proceeding out of the arm,  
12 and proceeded on a course that eventually took it down I  
13 think a course of 180, right?

14 A 180, yes.

15 Q Now you reviewed materials that indicated that  
16 Captain Hazelwood had a conversation with Gregory Cousins.

17 A Yes.

18 Q And you do not know whether Captain Hazelwood knew  
19 of Gregory Cousins' competence or not.

20 A No, I don't --

21 MR. COLE: Objection, hearsay, speculation.

22 JUDGE JOHNSTONE: Objection overruled. You may  
23 answer the question.

24 THE WITNESS: The only thing I know is that they'd  
25 been on the ship together a short time and Captain

1 Hazelwood obviously let him stay on the ship and obviously  
2 let him stand a watch, so he must have thought he was  
3 reasonably competent, yes.

4 BY MR. MADSON: (Resuming)

5 Q And you heard none of the testimony regarding his  
6 competence that was testified to in this trial, Gregory  
7 Cousins that is.

8 A I --

9 Q Any testimony that was in this trial up to today I  
10 think you said consisted only of testimony of Mr. --

11 A Yes, the only testimony that I've read has been  
12 Kunkel, Mr. Kunkel and Mr. Cousins.

13 Q Well, Mr. Cousins' testimony, did you reach a  
14 conclusion that Mr. Cousins felt comfortable and competent  
15 to carry out the maneuver off of Busby Island?

16 A Mr. Cousins stated he did, yes.

17 Q And that was -- a course of 180 is due south, is  
18 it not?

19 A Yes.

20 Q When someone comes abeam of something, what does  
21 abeam mean?

22 A Okay, abeam is at a 90-degree angle off from your  
23 course. So in this instance, it's easy because he was  
24 heading due south. When Busby Island Light was abeam, it  
25 would be heading due east. That's -- the abeam is 90

1 degrees from your course.

2 Q And from the course that you've examined -- and  
3 you have no reason to believe that's inaccurate.

4 A No.

5 Q You said, I think, it was easy to determine when  
6 you're abeam of something.

7 A That's correct.

8 Q When you have something like a light at Busby  
9 Island, that makes it easy, does it not?

10 A That's what you use is your prominent points and a  
11 light or a lighthouse is an especially good thing to take a  
12 bearing off of, yes.

13 Q How about taking a fix. Does that take any  
14 substantial period of time?

15 A To take a fix on a light is a matter of seconds.  
16 You take your -- wait until the light's abeam, take your  
17 range off, take your bearing, take your range and that's  
18 it.

19 Q Any competent or reasonably competent third mate  
20 should be able to do that, right?

21 A That's correct.

22 Q Certainly anybody who's passed the test for a  
23 second mate's license would, again, be competent to carry  
24 out that maneuver.

25 A Should be competent beyond that, yes.



1 Q And did you read Gregory Cousins' testimony  
2 regarding his knowledge of both Busby Island Light and  
3 Bligh Reef?

4 A Yes.

5 Q So he knew where they were.

6 A Yes.

7 Q He knew the area he was in.

8 A Yes.

9 Q He was familiar with it because he had sailed  
10 there a number of times before.

11 A Yes.

12 Q So when Captain Hazelwood said, "Look at the  
13 radar. Here's the ice. Here's a maneuver we like to  
14 make. Go down to Busby Island on this course and then take  
15 a fix and then maneuver around the ice" -- that's  
16 essentially what he told him, right?

17 A Yes.

18 Q In other words, make a right turn, go around the  
19 outside edge of the ice, right?

20 A That's what he told him, yes.

21 Q Do you think those orders or that command was  
22 easily understood?

23 A I think the language of it is understood, yes. I  
24 don't think the -- what it entailed may have not been  
25 understood by Mr. Cousins. But I think the language of

1 what to do and the mechanics of it he well understood.

2 Q You don't know whether or not Mr. Cousins  
3 understood that he was to go abeam of Busby Island --

4 A Oh, I'm sure he understood that, yes.

5 Q -- and simply turn to the vessel to the right?

6 A I'm sure he understood that part, yes.

7 Q And that is a simple maneuver, is it not?

8 A Yes, it is.

9 Q And at that time, you're one mile directly east of  
10 -- west of Busby Island?

11 A According to this fix, yes, yes.

12 Q It's certainly not heading to Busby Island.

13 A He's at that point, heading down behind Bligh  
14 Reef, yes.

15 Q And how far from Bligh Reef would you say it is  
16 from that point, that is off, abeam of Busby Island, to  
17 Bligh Reef?

18 A Two and a half, three miles, somewhere in there.  
19 I'd have to measure it.

20 Q And do you consider that enough sea room to make a  
21 turn with a vessel that's capable of making a turn in  
22 6/10ths of a mile?

23 A They had enough room at that time to make a turn,  
24 yes.

25 Q Did you evaluate the testimony and the materials

1 given you and reach any conclusions and determinations as  
2 to at what point the turn, if made, would have cleared  
3 Bligh Reef?

4 A I did and I think about a minute and a half is  
5 what I determined would be a -- they would miss it. I  
6 think that's not allowing a safety. You know, a ten-degree  
7 turn, that would miss it fairly easy. Any further than  
8 that, if you missed it, it would be so close that you  
9 couldn't say definitely. I didn't feel that was a safe  
10 turn at that point.

11 Q All right, let's go back. You said that a minute  
12 and a half after midnight?

13 A Yes, if they made the turn, they could have  
14 probably cleared Bligh Reef.

15 Q It was 12:01.5.

16 A Or something like that, yes.

17 Q Roughly that. You didn't pinpoint it.

18 A Yes. I mean this could be a little each way,  
19 that's --

20 Q How about up to two minutes after, 30 seconds  
21 later?

22 A I think some people figured that. That would be  
23 close, yes, you know, but this is --

24 Q It wouldn't be an intended maneuver to get that  
25 close, but you could still make it.

1           A     I'd have to recheck everything to see, but, yes,  
2 some people I've talked to have said two minutes. I think  
3 my original figuring was a minute and a half, so that's  
4 still -- yes, both of those -- let's assume two minutes,  
5 you could make it, yes.

6           Q     And if the turn was made or supposedly had been  
7 made at 11:56, certainly that gave it a lot of room, did it  
8 not?

9           A     It would have given it enough to be an adequate  
10 turn, adequate safety, yes.

11          Q     And that would be consistent with Mr. Cousins's  
12 instructions, his intent, would it not, that as soon as he  
13 got a fix off of Busby Island -- assume that was 11:55 --

14          A     If everything would have went perfect, he got his  
15 fix, made his turn, yes, we wouldn't be here today.

16          Q     It took only seconds to make the fix?

17          A     Yes.

18          Q     So a minute, at the longest, after he got his fix  
19 and he knew he was right abeam of Busby Island.

20          A     Yes, at a minute you should -- yes, that would be  
21 adequate time to take the fix, plot it and come back and  
22 make -- in fact, what you'd normally do is you would -- in  
23 a situation like that, you would set your range to the  
24 distance you're going to be off when you're abeam. You  
25 would take your bearing when you're abeam, whatever course

1 change go in and plot, keeping an eye on it, come back  
2 out. So it's even quicker than a minute, probably, would  
3 be the normal.

4 Q And then he would give the helmsman an order to  
5 turn the vessel.

6 A Yes.

7 Q He could either do that by saying, "Come to Course  
8 245," or something like that?

9 A He could. He could either order right ten degrees  
10 rudder or right to 245 or some such, whatever their  
11 practice on that vessel was, yes.

12 Q And you know from your review of the materials  
13 that Mr. Cousins stated that he told the helmsman ten  
14 degrees right rudder.

15 A He stated he did that, yes.

16 Q I guess the problem is, as you pointed out, we  
17 don't know if that order was carried out or not.

18 A Well, we really -- we don't know if the order was  
19 given; we don't know if the order was carried out. We  
20 don't know if they could do it because -- you know, there's  
21 an uncertainty on that point of just what happened.

22 Q Do you recall Mr. Cousins' testimony that he  
23 called the captain and said, "We're starting maneuvers, I'm  
24 making my turn"?

25 A Yes.

1 Q Would that give you any more reason to believe  
2 that the order had been given if he called the captain and  
3 said he did it?

4 A At that point, I would. Now that was further down  
5 the -- a few minutes later here, I believe, in the time  
6 order. It was -- anyway, that would let you assume that  
7 the order had been given, yes.

8 Q Do you believe there was one telephone call made  
9 between Cousins and Captain Hazelwood or more than one?

10 A There was -- let's see, the call was made. I  
11 think it was later than Mr. Cousins thinks is what I -- if  
12 there was more than one -- if there wasn't more than one  
13 call, then the call was later than when Mr. Cousins thinks  
14 he made it.

15 Q Mr. Cousins believed he made it about 11:57, isn't  
16 that correct?

17 A I believe somewhere in there is when he stated it.

18 Q So --

19 A But when you --

20 Q Pardon me.

21 A No, go ahead.

22 Q Okay. So assuming Mr. Cousins testified and said,  
23 "I believe I made this call at 11:57 and I told the captain  
24 I've started to make the turn," that would give the  
25 captain, would it not, reason to believe that the danger,

1 whatever danger existed had certainly been lessened because  
2 the ship is now beginning to turn away in the direction  
3 that he wanted it to go.

4 A Yes, if you were down below and you got a call  
5 from your watch officer saying he had altered course, you  
6 would expect that he had, yes.

7 Q And if you believed your watch officer was  
8 reasonably competent to carry out what is acknowledged to  
9 be a rather simple turn, that would lessen your anxiety or  
10 fear that something might happen, would it not?

11 A In normal circumstances, yes.

12 Q You recall Mr. Cousins's testimony that he looked  
13 up later, at some point later, and noticed that the vessel  
14 was only at -- the rudder angle, rather, was only at six or  
15 seven degrees.

16 A Yes.

17 Q He told Mr. Kagan to give it more rudder, right?

18 A Yes.

19 Q And eventually there wasn't enough rudder and it  
20 went aground.

21 A Yes.

22 Q Now do you recall a second call where he -- when I  
23 say second call, between Mr. Cousins and Captain Hazelwood  
24 -- where he said, "We're in trouble," and then they were  
25 aground?

1           A     "We're aground," yes.

2           Q     Now I want to go back to something I overlooked  
3 before we get to the grounding here. You also mentioned  
4 use of the auto pilot. You thought that that was bad  
5 judgment to put the auto pilot on at around 11:52 or  
6 something like that, right?

7           A     Yes.

8           Q     How long was that auto pilot on? From all the  
9 evidence that you have, that you've examined, how long was  
10 it on?

11          A     That is another thing that's -- that auto pilot  
12 was put on and I was not able to determine that it was ever  
13 taken off until just before the hard right, before the big  
14 swing. In the course recorder, there's nothing -- the fact  
15 that they couldn't change course, the fact -- it indicates  
16 that there's some confusion. And I don't accept the fact  
17 that immediately upon Captain Hazelwood's leaving the  
18 bridge that he put it on hand steering. I'm not -- I don't  
19 see anything to convince us that that happened.

20          Q     What about the testimony of Mr. Kagan and Mr.  
21 Cousins that said, "We both went over at the same time,"  
22 and Mr. Cousins said, "I pushed the button and turned it  
23 off"?

24          A     Okay. But if they had actually put ten degrees  
25 rudder on or even if they had put six or seven degrees



1 rudder on, there would be an indication on that course  
2 recorder that something happened, and there wasn't. So  
3 that's an indication to me that possibly they didn't take  
4 it off. I can't say definitely that they left it on, but  
5 the fact that there wasn't a movement of the vessel between  
6 56 or 57 and 002 indicates that they weren't getting any  
7 rudder.

8 Q What reason would they have to say, "We . . . ."?

9 A I have no idea. I mean this is a confusing  
10 point. Any time you're looking back after months, trying  
11 to figure it out, this is one of the things that there's no  
12 exact answer to.

13 Q If it's on auto pilot and you turn the wheel, you  
14 know immediately that you're not turning within seconds,  
15 right?

16 A There's no rudder, yes, right.

17 Q And both individuals who were on the bridge said  
18 it was turned off, right?

19 A Yes.

20 Q And if no order was given at that time or if it  
21 wasn't carried out, there's no way of knowing that, as  
22 opposed to whether the auto pilot was on.

23 A No. But there was definitely some reason that  
24 that vessel didn't turn and it was nothing -- you know, in  
25 our checking on the vessel, we could find nothing wrong

1 with the steering gear, so that's --

2 Q And there's no law or regulation or even Exxon  
3 policy that governs the use of the auto pilot at that  
4 particular time, is there?

5 A I don't know of a law regulating it, no.

6 Q Again, it's a judgment call on the part of the  
7 captain.

8 A That's a matter of safety, yes.

9 Q Now getting back to -- and I'm sorry if I'm  
10 jumping around here -- getting back to the events that  
11 occurred on the bridge when Mr. Cousins is there and Mr.  
12 Kagan is there. Mr. Kagan relieved Mr. Radtke, right?

13 A I believe he -- let's see, Claar.

14 Q Claar, excuse me, you're right. He relieved him  
15 at the helm.

16 A Yes.

17 Q And Mr. Claar went on as lookout.

18 A No, Mr. Claar went below at that time and --

19 Q He went down below, excuse me, and Maureen Jones  
20 was the lookout --

21 A Yes.

22 Q -- on the bridge wing. And she reported the  
23 lights, the Bligh Reef Light to Mr. Cousins.

24 A Yes.

25 Q And Mr. Cousins, from his testimony, said he

1 checked to see if, in fact, they were in the red sector,  
2 did he not?

3 A He did in the courtroom here, yes. It wasn't in  
4 his original statements, but he did testify to that in  
5 Court.

6 Q In any event, you don't know what Captain  
7 Hazelwood knew or did not know about Mr. Kagan, about his  
8 abilities.

9 A I think that there had been enough with the  
10 comments made by other officers and things that he would  
11 have certainly had some reason to suspect his abilities,  
12 yes.

13 Q Abilities to steer, right?

14 A Yes.

15 Q Now that doesn't necessarily mean that it's the  
16 same inability to make a right turn at ten degrees.

17 A Well, that's part of steering, but he should have  
18 had the ability -- or I would assume he would have the  
19 ability to do that, yes, but his overall steering would  
20 certainly -- Captain Hazelwood had enough information to be  
21 suspect of his overall steering ability.

22 Q Turning a vessel is certainly simpler, by turning  
23 just the wheel ten degrees, is simpler than steering  
24 (unintelligible).

25 A Well, it's a part of steering, but it is simple,

1 yes.

2 Q And certainly one as in the position of a master,  
3 Captain Hazelwood's case, could reasonably rely on the  
4 obvious, that Mr. Cousins would look up at the rudder angle  
5 to see if, in fact, Mr. Kagan carried out his order.

6 A That's part of his duties and you would assume  
7 that he would do that.

8 Q Then in order to disregard the risk that the  
9 vessel is going to go aground at this point, is it fair to  
10 say that Captain Hazelwood would have to assume that both  
11 Kagan and Cousins, or one of them, is not going to carry  
12 out the order, make the turn? Both of them, actually.

13 A Yes, one or the other, yes, or both, yes, some  
14 combination would have to --

15 Q Okay, turning to the grounding, itself, then, sir,  
16 I believe you said that, in your opinion, it occurred at  
17 about -- again, I'm guessing. Was it 12:07, approximately?

18 A Yes, 007, yes.

19 Q It could have been -- you could be off?

20 A Yes, I could definitely be off a little each way,  
21 anyone else could be. That's not something that, you know,  
22 we can get --

23 Q Why can't we be exact on that or why can't you be  
24 exact?

25 A Yes, maybe someone else can. I can't be exact on

1 that because I, at the time that I made that determination,  
2 I was making it up from the position of the ship, the  
3 estimated speed of the ship, the course recorder and  
4 everyone's statements. And I laid out a -- very similar to  
5 this, I laid out the whole course and figured the time all  
6 up as closely as I could, assuming that their fixes were  
7 pretty close to accurate and all, and I determined the  
8 007. Now it could have been 006, 008, but I didn't have  
9 the capabilities at that time to determine it any closer.

10 Q I assume you have to start at either the beginning  
11 or the end and work in one direction or the other.

12 A Yes, I worked it both ways and, you know, to  
13 figure it out and that, just made a determination that near  
14 the minute 007, the vessel grounded.

15 Q What leeway would you give it, plus or minus?

16 A Well, I would say a minute either way would  
17 probably be pretty close.

18 Q 12:08 it could be.

19 A Yes, it could be 12:08. Maybe it could be two  
20 minutes each, but it was -- but I would think within a  
21 minute of that.

22 Q Now, sir, you testified about your previous  
23 grounding experience --

24 A Yes.

25 Q -- and said that on the occasion where you were

1 apparently a mate and were hung up -- was this in  
2 Venezuela?

3 A Yes, okay, yes.

4 Q Were you on the conn at the time?

5 A No, I was down on deck, supervising the securing  
6 of the vessel for sea.

7 Q And in any event, you said there were soundings  
8 that were taken at that time.

9 A Yes, I was instructed by the master to immediately  
10 start taking soundings and report back to him with the  
11 information that I gathered.

12 Q Well, I think you said -- am I wrong? This is not  
13 the time of the bow of the ship was into the bank?

14 A Yes, this was in Lake Maricaibo, when they ran  
15 into the edge of the channel, not into the mud, in the edge  
16 of the channel.

17 Q Well, did you have anything ahead of you to  
18 indicate that you were in shallow waters, such as a shore  
19 or something like that?

20 A Well, at the time, we had channel -- it was a buoy  
21 channel and they had improperly put a couple of buoys and  
22 turned us and we were -- it was nighttime, so I don't even  
23 know how far out from shore we were at the time. I wasn't  
24 involved in maneuvering. But how we -- we knew ran aground  
25 up on the bow because we were going ahead. And how we

1 determined just, you know, how badly we had grounded, how  
2 much -- how far into the mud we had actually pushed was  
3 determined by taking these soundings to determine where we  
4 had enough water, then, for the rest of the vessel to be  
5 floating and how much water we had around the stern. We  
6 went around the entire ship and sounded at intervals and  
7 recorded that.

8 Q How big a ship was that, sir?

9 A That was 600 and some foot long, considerably  
10 smaller than the Exxon Valdez.

11 Q Considerably smaller.

12 A Yes.

13 Q How many crew did you have available?

14 A We had, on that particular ship, in the 30s,  
15 probably 35 or 6.

16 Q And the Exxon Valdez had 19.

17 A That's right, that's --

18 Q Now was this a dredged channel or just a natural  
19 channel?

20 A No, this was a dredged channel and it had merely  
21 -- either the buoys had been relocated, a buoy had been  
22 relocated in a wrong spot or been drug over for some reason  
23 or another and caused the master trying to follow it out  
24 the channel to determine to make a course change to stay  
25 between the buoys and he ran aground, so --

1 Q Now when you say a dredged channel, that means  
2 somebody came in there and actually --

3 A Dug it, yes.

4 Q -- took out material to make the water deeper.

5 A Yes.

6 Q And on the sides, it's shallow.

7 A Shallow, yes.

8 Q And it's kind of like a ditch you have to stay in,  
9 right?

10 A Yes. I mean that's kind of a broad thing, but  
11 that's good.

12 Q So when you knew your bow was in shallow water,  
13 didn't you have a pretty good idea that there was deeper  
14 water behind you?

15 A Well, it would depend on which way the ship  
16 turned. It's just a matter of -- at the time -- it  
17 depended on how far you ran out of the channel. These  
18 things aren't cut off and straight down or anything. It  
19 depends on how far you were out of the channel or out of  
20 the -- where you wanted to be before you actually ran  
21 aground, how the bottom sloped. There's any number of  
22 things to determine and find out here.

23 Q Well, if you're proceeding in a forward direction  
24 and stopped because you ran aground --

25 A Yes, you would assume you had deeper water behind



1 you if your vessel hadn't swung, yes, that's --

2 Q Deeper behind and shallow in front.

3 A I mean that's an assumption, but it would depend  
4 again on how far through the mud you had traveled before  
5 you came to a stop or across the bottom.

6 Q Is this rather muddy water or is it relatively  
7 clear?

8 A Down there?

9 Q Yes. Oh, I'm sorry, it was dark.

10 A Basically, Maricaibo is pretty murky looking  
11 water, yes.

12 Q Now a mud bottom versus a rocky bottom, there's a  
13 substantial difference, is there not, between the two?

14 A Oh, yes.

15 Q First of all, in the way you might decide to get  
16 off from your position when you're stuck, right?

17 A Well, normally, on running a big ship aground in  
18 mud, you can assume that you probably aren't going to do  
19 too much damage to it. You know, when you run aground on  
20 rock with a vessel, a large vessel, you're going to have  
21 assume you've done some damage. That's --

22 Q But by making soundings on a mud bottom, it's  
23 rather level, compared to many rocky bottoms, isn't that  
24 fair to say?

25 Q As a usual rule, yes, there's less definition,

1 yes.

2 Q In other words, you make soundings -- in your  
3 situation, you could get soundings that would show a  
4 considerable difference suddenly because it's been dredged,  
5 right?

6 A It would -- it's not like -- no, it's not like a  
7 matter of digging a channel and it goes straight down.  
8 When you dredge something that's mud out, it slowly --  
9 you've got a dished effect, instead of straight down.

10 Q Okay.

11 A And I don't remember the soundings now, but I  
12 assume that they -- a dredge will increase as we got back  
13 to the stern.

14 Q At the very least, it would show a gradual  
15 increase in water depth in one direction, as opposed to the  
16 other.

17 A Right, yes.

18 Q Now on a rock bottom, that may or may not be true,  
19 right?

20 A On a rock bottom, you can have deep -- yes, you  
21 can have a lot more ups and downs, there's no question  
22 about that.

23 Q And those ups and downs can vary in a short  
24 distance, can they not?

25 A Yes.

1 (Tape changed to C-3647)

2 Q You might be hung up on just a pinnacle and it  
3 could be deep all the way around, for instance.

4 A You could be, but that's something you want to  
5 determine by your soundings.

6 Q Well, looking at the situation of the Exxon Valdez  
7 at shortly after midnight, I think you said the weather was  
8 very dark from what you were able to determine, overcast,  
9 no moon, very little light, right?

10 A Earlier, there had been a little drizzle. I don't  
11 remember then, but I assume it was still dark, yes, I'll go  
12 along with that.

13 Q And you have a ship that's almost 1,100 feet long.

14 A Yes.

15 Q You've got a crew of only 19.

16 A That's right.

17 Q You've got oil coming out from the port --  
18 starboard side, rather.

19 A Yes.

20 Q Captain Hazelwood certainly knew that. He was  
21 informed of that immediately. You look out, the bridge  
22 lights on, the wing lights on, and go out and look and you  
23 could smell it, right?

24 A Yes.

25 Q Now with regard to soundings this time, when he

1 got a report from Mr. Kunkel, he knew what cargo holds or  
2 tanks had been holed or ruptured, right?

3 A Yes.

4 Q He knew those were on the starboard side, right?

5 A Yes.

6 Q He knew he wasn't leaking oil on the port side,  
7 right --

8 A Yes.

9 Q -- because no oil ever leaked on that side. So  
10 you know -- all right, would it be fair to assume then, if  
11 you had this knowledge -- you've got oil coming up on your  
12 right or starboard side and no oil on the left side, that  
13 you're in deeper water on the left side than the right?

14 A What you could assume from that is that you're  
15 holed on the starboard side, so you probably hit harder on  
16 that side. You couldn't assume that you were floating free  
17 on the port side. You could assume maybe you were touching  
18 the bottom or laying on the bottom. You could assume that  
19 -- you know, there's any number of things. But you would  
20 definitely know that you had hit harder on the starboard  
21 side, yes.

22 Q And, yet, there's no damage on the port side.

23 A Right.

24 Q No report of damage on that side.

25 A Yes, so you obviously have not -- you've not hit

1 as hard or you've not run into a shallow or -- on the port  
2 side and possibly you're floating free. That would be an  
3 assumption you could make, yes.

4 Q You could make that assumption.

5 A Yes.

6 Q Now if your fathometer -- one fathometer is  
7 working and that has a transducer at the stern and that's  
8 telling you you've got deep water at your stern, that tells  
9 you something else, doesn't it?

10 A Yes, but your -- that's not going to be out -- you  
11 can get a reading right out on the rail, on the stern, and  
12 you'd be further out than any fathometer because of the  
13 counter and the -- if there was a fathometer on the stern  
14 and if it was working, yes.

15 Q Well, did you determine whether one was on there  
16 and one was working or not?

17 A When I asked on the ship about the fathometers,  
18 they said, "Well, of course, it's not working because we  
19 grounded, so we didn't try it because the ship's officers  
20 told us that it . . . you know, we assumed that they had  
21 tried it and knew what they were talking about."

22 Q Well, did you know or determine whether there were  
23 two fathometers?

24 A That I didn't, no. I just asked them about it and  
25 they said, "Well, you know, we grounded and the bottom

1 is . . .," so to this day, I have no idea if they had two  
2 fathometer transducers or not.

3 Q If you had sat through the testimony in this case  
4 or reviewed the testimony of this case, is it fair to say  
5 you could have learned something to the contrary? Perhaps  
6 there were two fathometers and one was working.

7 A That could be. I don't know at this point, no.

8 Q And again, carrying that assumption out, if it was  
9 on the stern, it would at least tell you what the depth of  
10 water was under that particular point, correct?

11 A Yes.

12 Q That would be one more piece of information the  
13 captain would have, that's available to him, as to what he  
14 could do.

15 A Yes.

16 Q And if there was sufficient water there to show  
17 that he did not have potential damage to his rudder or to  
18 his propeller, he could maneuver the engine.

19 A Yes, if later on, once he gets to the point of  
20 being ready to start, yes.

21 Q Now you were critical of Captain Hazelwood's  
22 decision after the grounding, for instance, of not taking  
23 soundings, correct?

24 A That's one of the faults I found, yes.

25 Q Have you ever taken soundings -- have you ever

1 been aground when you were on rock in the middle or the  
2 night?

3 A No.

4 Q Let's assume, sir, that soundings were going to be  
5 taken and you send somebody out on the port -- the  
6 starboard side. Oil is coming up rapidly, crude oil. How  
7 do you take soundings?

8 A You wouldn't when it's flooding out like that.  
9 Most of the -- so this is -- you would take all the other  
10 soundings you could take and if you were going to sound the  
11 starboard side, you would have to wait until the oil quit  
12 rushing out, which is --

13 Q Takes some time, right?

14 A I think that someone's figured out about an hour  
15 or less than an hour, 20 or 30 minutes or so, most of the  
16 oil was out. But, yes, I wouldn't expect a person to go  
17 out there with oil flooding out and bubbling up and be able  
18 to take soundings on that side. I would expect them to be  
19 able to take soundings around the bow and the port side.

20 Q You could take some soundings, but not all.

21 A Yes. So that would merely mean that you're going  
22 to delay starting the engine and do whatever you want to do  
23 until you had a full picture.

24 Q Would you agree or disagree with the fact that you  
25 can determine, at least get some information on how you're

1 hung up by using the rudder?

2 A That would be pretty -- I don't -- I've looked  
3 that over and thought about that and I don't know that you  
4 could get -- the information that you would get is that  
5 you're free on your bow and stern to swing. Now what --

6 Q Okay.

7 A But which direction you would want to try to get  
8 the ship to swing and head, I don't see where that you  
9 would gain anything by that.

10 Q You would gain something if you were say hung up  
11 in the center of the ship and it could pivot, you could  
12 move the bow either direction, would you not? That would  
13 tell you something, wouldn't it?

14 A It would tell you you could move, but without  
15 knowing exactly where you were at, without knowing what the  
16 ground was like around you, you wouldn't know which way you  
17 wanted to pivot the ship. A ship aground is not something  
18 you want to be maneuvering around in that manner in order  
19 to determine anything. The more you're going to move the  
20 vessel, the more damage you're going to cause to the  
21 vessel. If you're going to move it, you need to know what  
22 your goal is and what the risk of doing that is and use the  
23 minimum that you have to accomplish this.

24 Q Okay, fair enough. Now if you are trying to  
25 determine just how you are hung up and what your situation



1 is, you say you couldn't learn anything from the rudder,  
2 making rudder maneuvers, right?

3 A Just by itself, without the -- you would already  
4 know your -- if you've taken soundings, you would know  
5 whether your rudder is free or not. If you have to -- if  
6 you want to turn the rudder to see if the rudder moves, you  
7 could do that without any damage if you want, using your  
8 engine. If you're using your engine to move ahead, you're  
9 risking the possibility of actually moving the ship and  
10 doing more damage to everything after the aft. And so you  
11 would have to make a little more determination than I think  
12 was made at that time, yes.

13 Q Did the ship -- the ship never moved one inch  
14 forward, did it, after the grounding, not even an inch?

15 A Well, I won't say that. It undoubtedly moved some  
16 in every direction because the heading changed and I don't  
17 believe that you can make that many heading changes without  
18 having some movement. Now I don't think they made any  
19 major moving, but it would be amazing to me that after  
20 changing the heading and running it full ahead that you  
21 didn't move an inch or two inches, or six inches or a foot.  
22 I mean this is -- we're not talking about any significant  
23 moves after he ran aground, but I'm sure that there was --

24 Q Well, did you review any of Mr. Greiner's, any of  
25 his reports or work that he did on this?

1 A Not really. We talked about it, but I didn't sit  
2 down and critique his --

3 Q Well, did he show you where he thought the vessel  
4 was basically hung up?

5 A Yes, I've seen pictures and seen that.

6 JUDGE JOHNSTONE: Excuse me just a minute. Let's  
7 just wait until people clear out. In fact, why don't we  
8 just take a break while this is happening? Don't discuss  
9 this matter among yourselves or with any other person and  
10 don't form or express any opinions, ladies and gentlemen.

11 THE CLERK: Please rise. This Court stands  
12 recessed.

13 (Whereupon, the jury leaves the courtroom.)

14 (Whereupon, at 11:15 a.m., a recess is taken.)

15 (Whereupon, the jury enters the courtroom.)

16 JUDGE JOHNSTONE: Counsel approach the bench,  
17 please.

18 (The following was said at the bench.)

19 JUDGE JOHNSTONE: I don't know if you've had a  
20 chance to look outside, but we've got a pretty good dark  
21 cloud coming over of ash. I just talked to the weather  
22 service and they report heavy ash about 15 miles south.  
23 The airport is now closed. I'm thinking, before it gets so  
24 bad that people can't drive or there's a problem with the  
25 engine or something like that on vehicles, the filters, to

1 let the jury go today before it gets any worse. Is that  
2 going to create a problem?

3 MR. MADSON: It's a call you've got to make,  
4 Judge.

5 JUDGE JOHNSTONE: I know. I wanted to know if it  
6 was going to create a problem. I know it's a call -- I'll  
7 balance it against inconvenience here.

8 MR. COLE: I think it might be a good idea.

9 JUDGE JOHNSTONE: Okay.

10 MR. MADSON: (Inaudible.)

11 JUDGE JOHNSTONE: They may need Friday now, right,  
12 so we'll plan on --

13 MR. : (Inaudible.)

14 (The following was said in open court.)

15 JUDGE JOHNSTONE: I was just discussing with  
16 Counsel and they have no objections and based on my  
17 telephone call to the weather service and finding out that  
18 the airport has just been closed -- apparently that's all  
19 hearsay. I don't know if it's reliable or not. But  
20 looking out the window, it's getting darker and darker.  
21 Counsel has agreed with my suggestion that we let you folks  
22 go home early. I don't know what the ash problem is going  
23 to do to driving conditions. It might make it difficult  
24 with bad visibility, so we're going to let you folks go  
25 home early today. Plan on being here tomorrow at

1 8:15 a.m., unless you hear differently from us. If it  
2 looks to me like it's going to be terrible tomorrow, we  
3 will take steps to notify you. But assume that you'll be  
4 here tomorrow, so just take steps to be here tomorrow at  
5 8:15.

6 In the meantime, keep in my mind my standard  
7 instructions about media and, also, not to discuss this  
8 case among yourselves or with any other person or form or  
9 express any opinions.

10 I'm letting you go because I'm a little concerned  
11 about visibility on the highway and what ash can do to  
12 vehicles. I don't want you to get into trouble. So you're  
13 excuse now and please be safe. We'll see you tomorrow.

14 (Whereupon, the jury leaves the courtroom.)

15 JUDGE JOHNSTONE: We're still on the record,  
16 Counsel. We're picking up everything you're saying. Okay,  
17 Mr. Cole, did you need to take a matter up?

18 MR. COLE: Well, I just wanted to let the Court  
19 know that we may now be calling two more witnesses, that  
20 would be the two tanker captains. They know about them.  
21 We've had conversations.

22 MR. MADSON: Yes, the witnesses aren't a surprise,  
23 Your Honor. The only concern I have is we're trying to  
24 gear up for Monday and, gosh, I hope we can still make  
25 that.

1 JUDGE JOHNSTONE: Well, we'll shoot for it. We'll  
2 have Thursday and Friday and I think these last two  
3 witnesses have taken a little bit longer than anybody  
4 anticipated, so I don't know if we'll be ready for you  
5 Monday or not, but we'll plan on going on Friday now. And  
6 I think we still only have half days with the remaining two  
7 days this week and our schedule next week will be the same,  
8 8:30 to 1:30, because I have 2:30 and 3:30 hearings. Is  
9 there anything else I can do for Counsel?

10 MR. COLE: No, I don't believe so.


11 JUDGE JOHNSTONE: Okay, we'll see you tomorrow  
12 morning.

13 THE CLERK: Please rise. This Court stands at  
14 recess.

15 (Whereupon, at 11:33 a.m., proceedings adjourned.)  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 SUPERIOR COURT )  
2 ) Case No. 3ANS89-7217  
3 STATE OF ALASKA ) Case No. 3ANS89-7218  
4  
5

6 I do hereby certify that the foregoing transcript  
7 was typed by me and that said transcript is a true record  
8 of the recorded proceedings to the best of my ability.  
9

10  
11   
12 \_\_\_\_\_

13 DORIS A. CUTLER  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF ALASKA

IN THE SUPERIOR COURT AT ANCHORAGE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

-----	x	
	:	
In the Matter of:	:	
	:	
STATE OF ALASKA	:	Case No. 3ANS89-7217
	:	
versus	:	Case No. 3ANS89-7218
	:	
JOSEPH J. HAZELWOOD	:	
	:	
-----	:	

Anchorage, Alaska

March 3, 1990

The above-entitled matter came on for trial by jury before the Honorable Karl S. Johnstone, commencing at 8:40 a.m. on March 3, 1990. This transcript was prepared from tapes recorded by the Court.

APPEARANCES:

On behalf of the State:

BRENT COLE, Esq.

MARY ANN HENRY, Esq.

Assistant District Attorneys

On behalf of the Defendant:

DICK L. MADSON, Esq.

MICHAEL CHALOS, Esq.

C O N T E N T S

1  
2 WITNESSES:

3 STATE

DIRECT CROSS REDIRECT RECROSS

4 Robert A. Beevers

3

50

68

5 William Milwee

84

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



P R O C E E D I N G S

(Whereupon, the jury enters the courtroom.)

THE CLERK: -- Karl S. Johnstone, presiding, is now in session.

THE COURT: Thank you. You may be seated.

We'll resume with the cross-examination of the witness. You're still under oath, Captain Beevers.

CROSS EXAMINATION -- Resumed

BY MR. MADSON:

Q Good morning, Captain Beevers.

A Good morning.

Q I guess, before the volcano interrupted us, we were at the point where the ship was hard aground, correct?

A The ship was aground, yes.

Q Do we have some questions whether it was hard aground or not?

A Not after reviewing all the information we have at this date, no. I just --

Q We'll get to that in a minute, but -- first of all, sir, I believe you acknowledged that the conditions at the time of the grounding, it was dark.

A Yes.

Q And the ship had come to a stop. The engines were still running -- the engine was still running.

A Yes.

1 Q Now, at that point, would you agree certain  
2 decisions had to be made?

3 A Yes.

4 Q Relatively soon?

5 A Yes.

6 Q The Captain didn't have the luxury of sitting  
7 back and analyzing things for a period of weeks or months,  
8 right?

9 A That's correct.

10 Q He had to do it now.

11 One of the things we talked about was soundings.  
12 Soundings on a ship of this size is a very time-consuming  
13 process, is it not?

14 A It would be relatively time-consuming, compared  
15 to a smaller ship, but it's something that can be done, and  
16 with the personnel he had, he could have had soundings  
17 taken, yes.

18 Q What about knowing the ship's load condition? Is  
19 that important?

20 A That's important, and I think he had the Chief  
21 Mate checking that.

22 Q The tide was rising, was it not?

23 A Yes.

24 Q Between 12:00 o'clock, 12:07 and high tide, how  
25 much difference in tide would there be? How much rise in

1 tide?

2 A I'd have to look at a graph to tell you exactly  
3 but the --

4 Q Did you look at one before?

5 A Yes. I would say the tide was coming up  
6 two-and-a-half, three feet, something like that, and I  
7 think the time --

8 Q Between?

9 A Yes. It was a twelve-foot tide, and I'd have to  
10 look at the thing to get it exactly.

11 Q Maybe we can find that.

12 A Let me see that, and I could --

13 Q Yeah.

14 A (Inaudible).

15 Q I believe it's a Plaintiff's exhibit, and I just  
16 don't have the number offhand.

17 THE COURT: It's the one with the two curves on  
18 it.

19 MR. MADSON: Yes.

20 (Pause)

21 (Inaudible remarks)

22 THE WITNESS: It should be A.M. of the 24th.

23 BY MR. MADSON: (Resuming)

24 Q Well, let me hand you the whole Plaintiff's  
25 Exhibit 123 and 124. One appears to be for Thursday and

1 one for Friday, so maybe between the two of them --

2 A Okay. According to this, the -- at midnight, the  
3 height of the tide was just under ten foot, and at high  
4 tide, it was going to be approximately twelve-and-a-half  
5 foot, it looked like. So roughly two-and-a-half feet, the  
6 tide was coming up.

7 Q And the draft on this vessel was what?

8 A Fifty -- 56 foot something, 56 --

9 Q So would you agree it would be rather difficult  
10 to know just what effect the rising tide is going to have  
11 on your grounding, your position?

12 A It would be something to check, yes. Something  
13 to keep an eye on and worry about and consider.

14 Q There's certainly no way of checking that, is  
15 there?

16 A There is no -- at that point, there's no way to  
17 know if it is going to have an effect, or if it isn't going  
18 to have an effect, no.

19 Q But there's no way to know for sure whether that  
20 tide was going to cause you to lift off the reef or not,  
21 because the water level is rising?

22 A The -- it would be a hard decision to make. The  
23 only would be once you got a -- your information back from  
24 your computer on the load, and what you had lost in oil,  
25 what you'd gained in water. You might determine then that

1 you had enough weight that it wouldn't bother you, but it  
2 would be something you would need to look -- you couldn't  
3 make that decision at once from the bridge, no.

4 Q And, of course, if you were waiting with  
5 information from your Chief Mate on a computer analysis,  
6 that takes time too, does it not?

7 A Yes.

8 Q It isn't something that's done immediately?

9 A No, it's not instantaneous. It takes a few  
10 minutes.

11 Q And if you were concerned about floating off a  
12 reef, wouldn't you agree that it would be better to have  
13 your engine running and available?

14 A With that particular -- with a diesel engine, you  
15 can stop it and still have it available. It's just a  
16 matter of moving the throttle to start it, in a dead slow,  
17 or slow, or full ahead, or whatever you want.

18 Q You mean --

19 A It's --

20 Q If the engines are full stop, how long does it  
21 take to get it started, and get it up to some kind of  
22 speed?

23 A To get up to speed, you're talking -- with the  
24 propeller, you're talking of just a matter of a few  
25 seconds. Just depends on what speed you want to get up to.

1 Q Let me ask you about this, then. In the sequence  
2 of events that occurred between the grounding at 12:07,  
3 according to your time, and the time the engines were  
4 stopped at 12 --

5 A 12:20, I believe.

6 Q You evaluated the information you had from the  
7 state of Alaska regarding the captain's decisions and what  
8 he did, right?

9 A Yes.

10 Q You know that, after the grounding, he told the  
11 mate to get a fix immediately?

12 A Yes.

13 Q Would you agree that's something --

14 A And that's a correct thing to do, yes.

15 Q Because if you needed help, you need to find out  
16 where you're at?

17 A That's right.

18 Q Do you agree that calling the engine room to  
19 check if the engines were okay and everyone was okay down  
20 there?

21 A That's the correct thing, yes.

22 Q Shutting down the engines in a relatively short  
23 period of time. Is that correct?

24 A That may have not been a relatively short period  
25 of time, but that could be explained during the confusion.

1 I really didn't find that much fault with leaving the  
2 engines on that long. I think he could have probably  
3 stopped them earlier, but that's not -- you know, that's  
4 one of those things that is decided at the time and on the  
5 -- under the circumstances. I wouldn't --

6 Q It's one of those judgment calls that you can  
7 decide this first, or that first, right?

8 A Yeah. Yeah. But the engine would be something  
9 that most people would want to stop as quickly as possible.

10 Q Well, from the grounding to the stop, what were  
11 the engine orders on there?

12 A The -- it was on full ahead when they grounded,  
13 somewhere in here, and then they went to half-ahead at 18  
14 minutes. They continued on full ahead from 05 until 18  
15 minutes after. They went to half ahead at 18 after, slow  
16 ahead, dead slow, and then stop.

17 Q The engines were gradually slowed down to stop?

18 A From 18 minutes until 22 minutes. So they went  
19 full ahead from seven minutes until eighteen minutes after.

20 Q Yeah. And the engine at the time of the  
21 grounding was on the load program up, right? The computer  
22 program program that --

23 A Yes.

24 Q So that wasn't really full ahead, when we say  
25 full ahead there? That was something -- full maneuvering

1 speed, right?

2 A It was on --

3 Q A little bit beyond full maneuvering?

4 A At 24 after, it was still on full. At 005, it  
5 was up to 61. So it was a little above normal maneuvering  
6 speed.

7 Q Yeah, but when you say full speed --

8 A No, it wasn't up to full sea speed.

9 Q Full sea speed was what? How many knots, in a  
10 safe condition?

11 A In that load, in that condition, I would say  
12 around 16 knots. That's -- that would vary with weather  
13 and whatever, but somewhere near 15 knots.

14 Q Then you recall the captain also asking the Chief  
15 Engineer to sound the void spaces and check the ER tanks?

16 A Engine room tanks?

17 Q Engine room tanks?

18 A Yes. That was a correct move to make.

19 Q You also asked if the engines were okay and could  
20 be used? That's something --

21 A That's a correct move to make.

22 Q What about preparing to lower -- giving an order  
23 to lower the lifeboats down to the debark -- embarkation  
24 deck, I guess it's called?

25 A That apparently was done, but I didn't determine



1 just at what time. It seemed to me that was done a little  
2 later in the -- I don't think that was done immediately.

3 Q But you don't know that for sure?

4 A Yeah. That was later.

5 Q Well, what --

6 A I -- I --

7 Q Later --

8 A Uh --

9 Q Later from when?

10 A The information I have, it was never decided, but  
11 it wasn't anything that was mentioned as being done early  
12 on. This was done after they got everything else done and  
13 got -- got finished with the engines completely, I believe,  
14 or somewhere in there. It was not -- it was not something  
15 done in the first ten or fifteen minutes.

16 Q It wasn't done -- well, would you say within 15  
17 minutes?

18 A I have no -- I have no opinion as to how soon it  
19 was done. I think it was done much later than that, but I  
20 don't have a definite time.

21 Q And you weren't here to hear Chief Mate Kunkel's  
22 testimony?

23 A From what I read of his testimony, I believe that  
24 they talked about getting things ready at 12:30. But he  
25 didn't -- I mean, that was the discussion was to get some

1 firefighting equipment out and get the boats ready, but  
2 there was no indication that they immediately did this.  
3 Because -- and I checked on the statements from the  
4 unlicensed crew, and apparently they sat around in their  
5 rooms. This would have been a good time to have them out  
6 at 12:30 getting this ready, and there's no -- there's no  
7 indication that they did.

8 Q Who sat around in the room?

9 A That's what Mr. Radtke, I believe, said in his  
10 statement; Mr. Claar; and Maureen Jones and Kagan were up  
11 on the bridge; and the other two crew members, there was no  
12 mention of them that I recall seeing.

13 Q Once again, when somebody's present at the time,  
14 they would be in a better condition to judge the condition  
15 of the vessel as to whether or not it was a life or death  
16 situation, and we'd better abandon ship, or if things are  
17 stable enough, we can sit here and wait for while until we  
18 get some determination?

19 A The thing is, in a situation where you're  
20 severely grounded your vessel and you're leaking oil at the  
21 rate that they were leaking oil, the -- it is an extreme  
22 emergency. It is a situation that you want to be prepared  
23 for, and you want to be prepared as soon as possible.

24 Q So I guess your criticism is, from the  
25 information you have, you think the life boats could have

1 been lowered a little sooner than they were?

2 A The life boats and the firefighting equipment  
3 could have been readied a lot quicker than it was, yes.

4 Q You say "a lot." What are we talking about?

5 A It should have been -- that should have been up  
6 there right after, or in conjunction with, such things as  
7 sounding the engine room spaces, and determining the cargo  
8 tanks, due to the -- you have this -- the second mate that  
9 apparently, if he was used, it was used by itself. You had  
10 all of your sailors and crew. You could have had them  
11 doing various things at the same time. You don't have to  
12 do it one step at a time. There's people on there, people  
13 that have been trained, people that should be able to do  
14 those jobs -- and you should use them.

15 Q And they did those jobs, didn't they?

16 A Eventually.

17 Q Well, how about -- I think you said day before  
18 yesterday that you would have sounded the general alarm?  
19 Right?

20 A I believe I would have, yes, and used the PA  
21 system to announce that "We've grounded the vessel. Don't  
22 panic. Report to such and such a place," so that then you  
23 could use your people. From there you can have an officer  
24 tell -- explain to them about all the safety procedures you  
25 want followed at that time, and what you want them to do.

1 Q And you say you believed that, but you, from that  
2 statement, can't say you're absolutely sure it was done?

3 A Like I said, at that time, if I didn't sound the  
4 general alarm, and if I'd have opted to send an officer  
5 around to tell the crew, I would have aroused them from  
6 their rooms, had them go to a central place where you could  
7 use them to work, or give them a job at that time. There  
8 was a delay in using the crew to assist in preparing for  
9 this possible -- well, this emergency underway, and prepare  
10 for further damage, and they weren't used at that time.

11 Q You say there's a PA system available on the  
12 ship. Right?

13 A Yes.

14 Q I mean, you can get on there in seconds. You can  
15 inform everybody of what to do?

16 A Not necessarily. If they're asleep, they may not  
17 hear it. You sound your general alarm. You muster the  
18 people. The general alarm will normally wake everyone up,  
19 but the key thing that they didn't do -- whichever way he  
20 called them, the key thing they did not do was they did not  
21 check to see that, in fact, everyone was -- woke up, and  
22 everyone knew of the danger, everyone knew of what should  
23 be done.

24 Q Well, let's see. You will agree the captain was  
25 pretty busy on the bridge, was he not?

1 A Oh, yes. Yes.

2 Q He gives an order to the third mate, he says, "Go  
3 wake everybody up. Tell them we're aground. Standby."  
4 Would you --

5 A You --

6 Q Would you agree that he is giving a command to  
7 someone that he would expect to carry it out?

8 A He got it that far, and he should have had -- he  
9 should have had the third mate check the people, and he  
10 should have sent someone -- checked -- he should have asked  
11 the third mate to "Give me a report," or -- there's got to  
12 be a way, because invariably, when you call a group of  
13 people, you do not get them all up, if you send him -- I  
14 found that out through experience. You send someone around  
15 to wake the crew up for such things as clearing the ship  
16 coming back from foreign, and invariably there's one or two  
17 missing. So you should have a muster list and check that  
18 you've got them all up.

19 Q Once they're all assembled in the room, it  
20 wouldn't take very long to see who is missing, go back and  
21 get them, put it --

22 A Sometimes in case of an explosion or fire, you  
23 don't have time to go back and get them.

24 Q Explosion or fire, you wouldn't have time to do  
25 anything, would you?

1 A You'd have them -- yeah, but you'd have them all  
2 up and out at that time. That's a --

3 Q Unless the explosion or fire happened to kill  
4 everybody that was in that particular area.

5 A Well, that -- that's a possibility too, yes.

6 Q Well, what we're talking about here is  
7 possibilities, isn't it?

8 A Yes. Right. Yes.

9 Q He notified the Coast Guard --

10 A Yeah.

11 Q Right.

12 A At a little -- yes. At 26 after, and that would  
13 be reasonable with everything else he's doing first. I  
14 have no objection with the -- his notification of the Coast  
15 Guard at all.

16 Q Told the second mate to walk the anchors out to  
17 the water line? Remember that?

18 A That come quite a bit later.

19 Q Still is something in case you're going to have  
20 to secure your position, you want your anchors down?

21 A Yes, but the anchors weren't walked out until  
22 considerably later --

23 Q Well, (inaudible) --

24 A And that's no problem either, because, as you  
25 say, they had other things to do. When they -- when they

1 decided not to go anywhere, then it was obviously time to  
2 walk the anchors out.

3 Q Would you agree, sir, that at 12:30, the Chief  
4 Mate told the captain that he had run an analysis, and at  
5 that time the computer analysis said, we are stable in a  
6 sense that you couldn't go to sea, couldn't go past Cape  
7 Hinchinbrook, but it would be at least safe if you got off  
8 the reef?

9 A He gave him that report, yes.

10 Q Would this cause, or -- would this, in your  
11 opinion, then, give Captain Hazelwood a certain degree of  
12 confidence, maybe small, maybe a great deal, but some  
13 degree of confidence that, if he did get off the reef, the  
14 vessel was not going to capsize or sink at that point?

15 A Well, when I \_\_\_\_\_ looked at that, I would  
16 have realized that you have several -- ten tanks that's got  
17 liquid in or out that's different, and I would be suspect  
18 of the computer printout, and I would use that as part of  
19 my determination, but I would also consider that the tanks  
20 that had lost so much oil would be the overriding factor,  
21 and I wouldn't consider it an accurate piece of information  
22 as far as being -- as being safe to take the ship off the  
23 reef, no.

24 Q So you'd have to take that analytical piece of  
25 information, balance it against your subjective judgment --

1 A Yes.

2 Q -- experience, and everything else --

3 A Yes.

4 Q -- and make decisions?

5 A Yes.

6 Q And of course, Captain Hazelwood was in a  
7 position to see what was going on --

8 A That's right, yes.

9 Q -- and you were not.

10 A Yeah.

11 Q But based on that information, you agree that  
12 that's something you would want to know?

13 A Oh, yes. I would want to know what he had, what  
14 the Chief Mate had worked up, and I'd certainly use that in  
15 making a judgment call.

16 Q But then --

17 A But I wouldn't -- I wouldn't depend on that  
18 solely, no.

19 Q But at least in part, that would cause you to  
20 either have a feeling that the risk involved is reduced  
21 because you have one more piece of information that says,  
22 "Hey. If we get off the reef, we're going to be stable."

23 A I'll agree that I would have one more piece of  
24 information. I won't agree that that would cause me to  
25 feel more secure in it, or that -- it would give me what I



1 would consider a little more insight as to what the -- what  
2 all the problems were that I were facing, but that's a --

3 Q You've got a number of problems, and use all the  
4 information available, from whatever source?

5 A Yes.

6 Q Drawing on your experience -- things like  
7 experience, right?

8 A Yes. Your experience and your -- your judgment  
9 of what the condition is at the time, yes.

10 Q And, of course, your prior grounding experience  
11 was in mud, never on a rock, right?

12 A Right.

13 Q So if you'd never had the experience before, that  
14 makes it a little more difficult to judge the situation  
15 completely accurately?

16 A Oh, yes, it does. It's --

17 Q Now, one other thing. It's your opinion, you  
18 said, Captain Hazelwood was reckless because he was trying  
19 to get off this reef, not knowing whether the ship was  
20 going to capsize, or sink, or tear -- cause other damage,  
21 right?

22 A Uh-huh.

23 Q Why didn't he back up? Go astern? There's no  
24 astern orders on there, is there?

25 A There's no astern orders there, no. What I based

1 my decision that he was trying to get off the reef on is  
2 statements to the Captain of the Port while he was  
3 maneuvering ahead, during the time he was maneuvering the  
4 vessel full ahead, and the statements he made upon the  
5 first investigating officers' coming out.

6 In both cases, he stated he was trying to get off  
7 the reef in various terms, and I have no -- no reason to  
8 think that he, at that time, would be lying to the Coast  
9 Guard or the Captain of the Port when he's talking to him.  
10 I would think that whatever he told him would be what he --  
11 what he was doing, and what he felt at the time.

12 Q And maybe, by telling that to the Coast Guard, he  
13 was trying to alleviate some of their concerns, that the  
14 vessel wasn't really in peril, that things were going to be  
15 okay, he's going to get back to them -- "I'm going to  
16 assess the stability. I'll get back to you." Things like  
17 this.

18 A It seemed to me that all the way through the  
19 grounding that Captain Hazelwood tried to minimize the  
20 scope of the emergency.

21 Q Okay. Now, would you agree, sir, that if you run  
22 aground, the ship is going forward, just instinctively  
23 you'd want to try to -- if you're going to get out and away  
24 from that situation, instinctively, you'd want to go  
25 astern?

1           A     If I ran a ship aground, instinctively I'd stop  
2 the engine, and I'd survey the situation. That's --

3           Q     But my question was not that, but whether you --  
4 you just instinctively wanted to get off the reef --

5           A     If I wanted --

6           Q     Away from it?

7           A     Yeah. I don't think I would instinctively want  
8 to -- I mean, you're asking me a question that I don't --

9           Q     You ram into something. You say, "I want to get  
10 out of here." What's your first reaction, would you think  
11 would be normal? I go forward and I stop. I've got deep  
12 water astern.

13          A     I don't think that an experienced captain would  
14 do that. I think that everyone has thought about these  
15 disasters -- you try to avoid them, naturally, but I don't  
16 -- I think that the -- I don't think he would have that  
17 instinct, no. I think that if he went astern, it would be  
18 after considering all the possibilities.

19          Q     In all that time, Captain Hazelwood, in your  
20 opinion, is trying to get off this reef, and never once  
21 tries it astern when he can't move it at all going  
22 forward? Is that correct?

23          A     You look at the -- you look at where he's at, and  
24 the majority of the reef is behind him. The shallower part  
25 of the reef, according to the chart that's available to use

1 is behind him. Ahead of him is deep water. I would think  
2 that if he'd made a decision to get off the reef -- which  
3 he said he'd made that decision -- I would think he would  
4 be trying to do it in what he would have determined to be  
5 the -- the best fashion, and apparently he determined going  
6 ahead was.

7 Q But if you make that determination, and you spend  
8 that much time -- the time involved -- trying to go ahead,  
9 and you're not having any success. You have no reason to  
10 believe that ship moved forward at all, do you?

11 A Not significantly, no. And we discussed that  
12 yesterday. No, not --

13 Q By significant, we can't even talk about a foot,  
14 can we? Say for sure it moved a foot?

15 A We can't say it moved -- I'm sure with that much  
16 action and that much turning, it moved somewhat, but we're  
17 -- whether it's inches or yards or something, but it wasn't  
18 significant. That's --

19 Q You had a lot of discussions with the District  
20 Attorney about this concern, about him not going astern,  
21 didn't you?

22 A We discussed it, yes. The same thing. I don't  
23 think that a master would automatically just run up to the  
24 bridge and throw his vessel astern instinctively.

25 Q Well --

1           A     I think that he --

2           Q     -- whether he did it automatically or not, given  
3 the time available to him and the ability to assess the  
4 situation, the knowledge that he could not go forward,  
5 would you, then, in that case say -- not instinctively, but  
6 in a thoughtful manner, say, "I can't go forward. I'd  
7 better try going backwards"?

8           A     IN that situation, he would have looked and seen  
9 that most of the reef was behind him. You don't have as  
10 much power when you're backing. Your -- your vessel is not  
11 as -- if you do get loose, you're not as maneuverable, and  
12 if he were -- I would have thought that if he instinctively  
13 wanted to go astern when he -- to get off the reef, he  
14 would have --

15          Q     Then -- okay. I didn't mean to interrupt.

16          A     Yeah. Go ahead. That's all right.

17          Q     Okay. Well, then my next question was in your  
18 opinion, he was very determined to get off that reef and he  
19 was going to go do it in a forward manner, right?

20          A     That seems to be the indication of everything,  
21 yes.

22          Q     Then in that situation, would you not -- would  
23 you agree that Captain Hazelwood would want to use all the  
24 power available to him to get off the reef by going  
25 forward?

1           A     Not necessarily, because you're -- in a situation  
2 like that, there again, he hasn't really studied it. He  
3 just started ahead, and I -- if you're going to use full  
4 sea speed (inaudible), load the program up for the --  
5 you're talking about another 40 minutes to get up to sea  
6 speed.

7                     And I wouldn't -- if I was aground, and I can't  
8 foresee any time that I would have ever wanted to use full  
9 ahead on a ship, but if I had, I would have never  
10 considered sea speed until I'd tried everything else --

11           Q     Okay.

12           A     -- (inaudible).

13           Q     Trying to go off the reef, going forward, he  
14 would have to use a certain amount of thrust to get him off  
15 that stuck situation, right?

16           A     Yes.

17           Q     Now, you can certainly get off the load program  
18 up and over it by simply pushing a button, yes?

19           A     Yes. It's easy to -- it upsets the engineers,  
20 and probably the -- the engine is built to increase slowly  
21 and reduce speed slowly, but yes. At any time you can go  
22 from full sea speed to maneuvering speed quickly.

23           Q     And the engineers might be a little upset by this  
24 time anyway, right?

25           A     They might be, yes.

1 Q So that little thing isn't probably going to  
2 cause any more concern?

3 A But I -- yeah.

4 Q Okay. So then you have whatever power that  
5 engine can generate at your disposal to use by going  
6 forward, right? How much power did Captain Hazelwood  
7 utilize on the Exxon Valdez to get off that reef,  
8 considering the amount of potential power he had available?

9 A He -- he had it on full ahead maneuvering.

10 Q Well, how much horsepower is that?

11 A That, I don't know. You'll have to get a chart  
12 out here and I can tell you, but I'm not -- I'm not -- I  
13 never check the horsepower. I never -- I didn't -- didn't  
14 enter that -- it didn't enter into my decision on the fact  
15 that he was trying to get off the reef.

16 Q How much total available power did he have?

17 A I believe 31,000, something like that.  
18 Thirty-one six, is that right? I mean, I'm -- I'm --

19 Q Let's assume that's correct.

20 A I'm thinking from memory now.

21 Q Okay.

22 A It's been awhile since I looked at that.

23 Q But assuming, sir, you're correct, it's in the  
24 neighborhood of 32,000.

25 A Something like that.

1 Q Okay. In that situation, my question was, did  
2 you calculate, or did you make any determination of what a  
3 power he was generating at 55 RPMs, full maneuvering.

4 A No, I didn't. I didn't make a calculation to  
5 that, no.

6 Q Would you agree, sir, that the -- well, first of  
7 all, engine -- there's curves for -- horsepower RPM curves  
8 for engines, are there not?

9 A Uh-huh. Uh-huh.

10 Q As you increase RPM horsepower -- well, if we go  
11 RPM, let's say, on the base line, horsepower vertically --  
12 there's an increase in horsepower as the speed of the  
13 engine is increased.

14 A Yes.

15 Q Is that a linear type of progression, or is that  
16 exponential on that low-speed diesel engine?

17 A That I don't know.

18 Q Then you do not know, sir, that Captain  
19 Hazelwood, at 55 RPM, was using less than a third of the  
20 available horsepower that he had?

21 A That would -- that would be reasonable, but I  
22 don't know for sure what -- what it is. But it would be --  
23 it wouldn't be to the maximum that you would have at full  
24 sea speed, no. but --

25 Q But it still would be in that neighborhood of a



1 third of his available power, at 55 RPM?

2 A I wouldn't want to hazard a guess on that. But  
3 it would be well -- well below sea speed. But that doesn't  
4 alter the fact that, from every statement that he made, and  
5 every maneuver he made with the rudder, and the fact that  
6 he was not trying to get the engine -- or get the ship off  
7 the reef.

8 Q You don't think that's inconsistent with trying  
9 to get off the reef when you're using only a third of the  
10 power you have available?

11 A Not when he's stated several times that he's  
12 trying to get off the reef. I would take the -- I have no  
13 reason to believe that Captain Hazelwood would lie to the  
14 Coast Guard. I've got no reason to believe that he would  
15 tell them anything other than what he's trying to do.

16 Q Sir, yesterday you said you disbelieved certain  
17 witnesses, since -- Mr. Cousins and Mr. Kagan with regard  
18 to the auto pilot.

19 A I said I -- I said that I -- from the facts that  
20 I could see, that they couldn't have done what they said  
21 they'd done. That's a disbelieving them. But I don't see  
22 anything in what Captain Hazelwood did that leads me to  
23 disbelieve what he told the Coast Guard.

24 Q That Kagan and Cousins couldn't have done what  
25 they said they did by turning the auto pilot off?

1           A     They could not -- during the time they had the  
2 vessel on 180, they could not have made a -- put the rudder  
3 over before, shortly before they started their turn,  
4 because it -- the vessel would have turned.

5           Q     If the auto pilot was on, right.

6           A     No. If the auto pilot was on, it wouldn't turn.  
7 It would have to be off. Yes. And there's -- I mean,  
8 there's an inconsistency in their statement. With Captain  
9 Hazelwood telling the Coast Guard, "I'm trying to get off  
10 the reef," and his maneuvering the vessel, I don't see any  
11 inconsistency there.

12          Q     Well, let's try it again, sir. You say there's  
13 an inconsistency -- or is there an inconsistency between  
14 Kagan and Cousin's testimony that they turned the auto  
15 pilot off and the vessel didn't turn, because perhaps the  
16 order wasn't given, or the turn wasn't made?

17          A     Yes.

18          Q     That's consistent, isn't it?

19          A     Yes. There's something that didn't happen there,  
20 obviously, or else they would have made the turn.

21          Q     If that theory is correct, then for your theory  
22 about the auto pilot to be correct, you have to say, "Well,  
23 then we have to disbelieve Kagan and Cousins. The auto  
24 pilot must have been on, and they didn't tell the truth."

25          A     You have to believe that their statements at that

1 point -- now, the rest of their statements may be true.  
2 They may be confused at that point on what they said. But  
3 from my findings, they did not get the rudder to go to ten  
4 right when they said they did, whatever -- for whatever  
5 reason.

6 Q Well, sir, I don't believe there's any dispute as  
7 to the fact the rudder wasn't turned.

8 A Right, yeah.

9 Q But then, getting back to this situation, you  
10 want to say just the opposite. You want to say, "I believe  
11 Captain Hazelwood. That's what he said. And then I will  
12 discount everything that he did, or a lot of what he did."

13 A I'm not discounting -- when I based my decision  
14 that I thought he was getting off this -- he's on the edge  
15 of the reef, heading in a direction to get off the reef,  
16 first off. Behind him is a marking there of approximately  
17 five fathoms behind him.

18 He's put the engine on full ahead maneuvering,  
19 which seems like an intention to go ahead. He's used the  
20 rudder a total of, I believe, sixteen times the heading  
21 change, so that would indicate at least sixteen rudder  
22 commands were given. That would indicate to me that he's  
23 trying to get the ship to move free from whatever he's on.

24 Q Or not an indication to find out if his position  
25 is such that he can either turn the vessel one way or the

1 other?

2 A Well, without taking soundings around, to get  
3 back to the soundings again, if he's the vessel like that  
4 and moving the vessel from one -- swinging the vessel, he  
5 runs the risk of -- of further holding either his cargo  
6 tanks or the engine room from either side as the vessel is  
7 rotating on this rock that it's impaled on.

8 Q On that point, sir, do you have any specialized  
9 knowledge about salvage operations, or anything like that?  
10 How to get ships off a reef?

11 A I've never done it. I have no specialized  
12 knowledge in that field at all, no.

13 Q Well, let me ask you. Have you ever run across  
14 any type of equations or anything, any studies, as to when  
15 it would be physically impossible to remove a ship from a  
16 grounded condition because of the coefficient of friction,  
17 the force that's on the rock or the mud or whatever?

18 A No. I have never done that. I don't know of  
19 anyone that would be able to determine that in the middle  
20 of the night on a -- on a ship stranded on a reef, no.

21 Q Well, let's do it now in the courtroom.

22 A Okay.

23 Q Let's talk about it right now, eleven months  
24 later.

25 A Okay. Okay. I'm not a salvage expert. I'm not

1 a -- I'm a tanker captain. I never sat down to try to  
2 figure -- I didn't assume -- when I was interpreting what  
3 Captain Hazelwood did, I didn't assume that he knew that he  
4 could, or couldn't, get the vessel off the reef. I  
5 assumed, from every indication that I had, that he was  
6 making a maneuver to do what he said he was going to do,  
7 and that was to get the vessel off the reef.

8 Q What if he couldn't get the vessel off the reef,  
9 did you consider that?

10 A If --

11 Q No matter what he did, it simply wouldn't move?

12 A Well, that's -- in -- that's what happened, and  
13 so then eventually they stopped and went to other things.

14 Q Then you -- you don't have any dispute with any  
15 conclusion or finding by anybody else that no matter what  
16 he did, the vessel could not have been removed from that  
17 reef at that time?

18 A That's probably -- I don't know for sure, but I  
19 would assume that that's probably true. But that's -- that  
20 doesn't mean he wasn't trying to get it off, at that -- at  
21 that point.

22 Q Very true, sir.

23 A Yeah.

24 Q But doesn't -- if there's a risk involved, as you  
25 said earlier, there's a risk the ship did get off, it would

1 either sink, or the damage would cause more oil to spill,  
2 things like this. There would be that risk if you get off  
3 the reef, right?

4 A There's that risk of further damage just trying  
5 to get off the reef.

6 Q But if the ship didn't move -- well, let me ask  
7 you --

8 A If the ship didn't get off the reef there -- it  
9 -- obviously, if it stays on the reef, it's not going to  
10 sink or capsize, but in his maneuvering at that time, he  
11 had no idea whether it would get on and off the reef.

12 Q Okay. But you have no evidence at all that would  
13 indicate that any damage whatsoever, in addition,  
14 additional damage was done to that ship, by any maneuver he  
15 made after the grounding?

16 A I have no evidence of any damage which -- any  
17 additional damage was done. My statement was that he  
18 risked doing further damage by his movements.

19 Now, to -- I -- apparently most of the damage was  
20 done during the original grounding. That didn't mean that  
21 he didn't risk doing further damage when he was maneuvering  
22 the vessel. It just --

23 Q You certainly have had a lot of time to talk to  
24 Mr. Cole about this risk factor, haven't you? He knew you  
25 were going to be asked about this, didn't you? Did he tell

1 you about that?

2 A I've talked to Mr. Cole about this. I don't  
3 recall any specific questions or statements or anything  
4 that -- no.

5 Q He didn't tell you you were going to be  
6 questioned, perhaps, about risk, the risk involved, whether  
7 any damage was done?

8 A When we -- when we first went over this, we were  
9 talking about this, and one of the things that he asked me  
10 was what the risk would be in trying to get off, maneuver  
11 to get off the reef, and I told him this was awhile back,  
12 yes.

13 Q There's a risk involved in trying to get off the  
14 reef, right?

15 A Yes.

16 Q There's a risk involved if the vessel would move  
17 to cause that to happen, correct?

18 A Yes. Yes.

19 Q If it did not happen, then there may have been a  
20 risk, but the risk would be very substantially reduced,  
21 would it not, if it was physically impossible to move the  
22 vessel because of the damage?

23 MR. COLE: Judge, I'm going to object. Mr.  
24 Madson is going into an area of the law that this person is  
25 not qualified, giving him a question that goes to the

1 instructions that the court is going to give.

2 MR. MADSON: Well, Your Honor, if the witness is  
3 not qualified, then I'd ask the Court to strike all his  
4 testimony, because that's exactly what he's been testifying  
5 about.

6 THE COURT: To the form of the question,  
7 sustained.

8 BY MR. MADSON: (Resuming)

9 Q Captain Beevers, if I were to tell you -- if I  
10 were to go over to that wall, and there's people next door,  
11 and I'm going to say, I am intending to push this wall over  
12 on those people and kill them, do you feel there's any real  
13 risk involved in my doing that, with the available power  
14 that I have and the obvious strength of that wall?

15 A Only -- only a risk that you may be locked up,  
16 yes.

17 (Laughter)

18 Q I'll be the first one to go.

19 A You know, that's -- no.

20 Q Yeah. It's -- it would be impossible.

21 A But it's -- this is after the fact, as far as the  
22 fact he couldn't get off. At the time, Captain Hazelwood  
23 did not realize it, that the vessel was that -- that he  
24 couldn't get off. I know, you know. I'm sure that that  
25 was something that naval architects sat down and figured



1 out over a period of time at a later date.

2 Q Let's assume, though, that I really believe I can  
3 do that. In my mind, that's my intent, and I believe I  
4 can. But I still can't, right?

5 A Yes.

6 Q No matter how hard I believe, and how much I'd  
7 want to do it, I can't do it.

8 A I don't believe that's a good analogy to the --  
9 you know, that's a good reference to the ship being on the  
10 reef, but that's --

11 Q I'm talking about the actual potential of  
12 something occurring, the degree of risk involved.

13 A Okay.

14 Q Talking about that situation. And we don't know,  
15 and you don't know, that this ship moved one inch, that it  
16 created any additional damage, or even came close to it,  
17 after the grounding.

18 A No, I don't know that there was any additional  
19 damage, no.

20 (Pause)

21 Q Let me ask you something else, but I think I may  
22 have to draw a diagram. When I asked you, Captain Beevers,  
23 about floatation of a vessel such as the Exxon Valdez --  
24 and maybe we can (inaudible) --

25 (Pause)

1           Now, sir, let's assume that this is a glass, or  
2 some kind of a tumbler. Let's assume it's a glass. If you  
3 were to invert that and put that into water, it would go  
4 down a certain level and -- assuming it would stay stable,  
5 and not turn over, it would essentially float, wouldn't it?

6           A     Depending on the weight of the glass,  
7 yes, \_\_\_\_\_. Yes.

8           Q     In other words, the air in here is trapped.

9           A     Yes.

10          Q     And the water is here. So would you agree that  
11 that's somewhat analogous to the Exxon Valdez or an oil  
12 tanker?

13          A     Close to it, if there's no bottom, yes. That  
14 would be a -- the --

15          Q     Yes. Assume, of course, a tanker has a bottom.

16          A     Yes.

17          Q     Now, what if we put, let's say, a vent here.

18 Now, if you could vent the air away, that would allow the  
19 water to rise, or the --

20          A     Yes.

21          Q     -- or the tumbler of the ship to sink, right? At  
22 the risk of oversimplifying, I would ask you, then, that in  
23 the Exxon Valdez, or a tanker like that, it has tanks --

24          A     Uh-huh.

25          Q     -- which are essentially sealed.

1           A     They're closed up, yes. You have a -- these  
2 tanks are sealed from the atmosphere by the -- being closed  
3 up, and they do have their inert gas system which is sealed  
4 off from the atmosphere by water seals, yes.

5           Q     And one way of reducing the -- or increasing the  
6 draft and decreasing the buoyancy of the vessel is to open  
7 valves and allow water to come in, or oil, or whatever, and  
8 allow, then, the vessel to sink, right?

9           A     Yes.

10          Q     Now, do you recall the testimony of Mr. Kunkel,  
11 the chief mate?

12          A     Yes.

13          Q     Do you recall him saying, "Well, earlier on, I  
14 thought the captain was trying to get off the reef, but  
15 then when I realized he was giving me these orders, or  
16 making these requests, I knew he wanted me to make sure we  
17 could get the buoyancy reduced to settle on the reef."

18          A     He -- from what I remember reading, he asked him  
19 to do some calculations on that, yes.

20          Q     And Mr. Kunkel agreed that what he was going, in  
21 his opinion, was to be ready in case the tide was coming  
22 up, the vessel was going to actually going to go off, he  
23 wanted to be ready to flood tanks and settle on the reef?

24          A     This was one of the scenarios that he was working  
25 up as an option to do with -- you know, in finding out what

1 -- what they could do and what couldn't, which was in the  
2 scope of what they should have been doing, yes.

3 Q That's in the scope of what should have been  
4 done?

5 A Is to find out their options, yes.

6 Q Now, getting back to the -- I'm, hopefully,  
7 finally done here -- getting back to the bridge situation,  
8 prior to the grounding, okay? Let's say from 11:55, 11:56  
9 to oh, six -- let's say six minutes after, something in  
10 that period. Would you agree, sir, that there was  
11 \_\_\_\_\_ a period of time after which, no matter what  
12 anybody had tried to do, the vessel was going to run  
13 aground as long as it remained on that course, at that  
14 speed -- under our situation?

15 I don't mean to confuse you. What I'm saying  
16 that --

17 A Actually, if had remained on 180, there's a  
18 possibility it would have skimmed down behind it, but  
19 they'd already started their course change by that time,  
20 and by that point it was too late to keep from running on  
21 the reef, right.

22 Q Right. In fact, if the course hadn't changed,  
23 there was a good possibility it could have made it to the  
24 east of Bligh Reef.

25 A Yeah. Then something nobody would ever attempt

1 to do, but -- yes, as --

2 Q It would have raised a little anxiety, perhaps?

3 A But at that point, there was -- when they started  
4 their swing, there's no question that they were beyond  
5 making it.

6 Q So there was a -- what? Six minutes, would you  
7 say --

8 A That --

9 Q -- from the time the vessel was supposed to turn,  
10 at least Captain Hazelwood thought it was turning --

11 A Five or six minutes, yes.

12 Q So he thought -- there was a point in time, for  
13 five or six minutes, he thought it was turning, then you  
14 reached that point, no matter what he or anybody else did,  
15 it would have been too late, and it was unavoidable.

16 Right?

17 A Yes.

18 Q Okay. Now, with regard to his actions on the  
19 bridge and your opinion concerning him, did you use the  
20 same thought process and degree of objectivity on that as  
21 you have with the grounding situation? Just as objective  
22 in your analysis of that case as you are with the  
23 grounding?

24 A I would think so, yes. I don't quite understand  
25 what you're driving at --

1 Q Well, you had different --

2 A -- but I looked at everything, and, you know, did  
3 the best I could to be fair and impartial in what I  
4 decided, and that -- yes, I would say I was objective in  
5 that.

6 Q And you had to use different degrees of  
7 expertise, would you say, in either situation, both -- you  
8 know, one, a grounding is a little bit different than being  
9 on the bridge in a --

10 A Yeah.

11 Q Right?

12 A I know more about maneuvering a vessel than I do  
13 about getting one off a reef, if that's what you're --

14 Q Yeah.

15 A Yes, because of my -- my experience is as a  
16 ship's master, not as a salvage master, yes.

17 Q And in -- you still, even with what you say is  
18 less experience and less knowledge about getting ships off  
19 a reef, you still came to some very firm conclusions and  
20 opinions, right?

21 A Yes.

22 Q And you're just as firm, based on the same degree  
23 of how you approach the situation and how you look at it,  
24 in the grounding as you were on the bridge situation,  
25 right?

1 A Yes.

2 Q Then your disagreement, or what you said Captain  
3 Hazelwood really did wrong was leaving the bridge, right?

4 A That's -- that's what caused this. If Captain  
5 Hazelwood would have stayed on the bridge, as he should  
6 have, due to his pilotage, and due to the fact they were in  
7 these close quarters situations, I'm sure that when he  
8 ordered the right rudder, that Captain Hazelwood has enough  
9 experience to realize the vessel wasn't turning, and he  
10 would have realized it much quicker than a relatively  
11 inexperienced third mate, and if it wasn't, in fact,  
12 turning, I would have certainly assumed that he would have  
13 realized that before and made -- made the change properly,  
14 yes.

15 Q You're assuming he would have checked to see if  
16 Cousins had checked to see if Kagan had, in fact, turned?

17 A I would certainly think so, yes. I don't think  
18 that Captain Hazelwood would have gotten to be a master on  
19 one of Exxon's vessels if he wasn't competent and able to  
20 do that, and I'm sure he would have, if he'd have been  
21 there.

22 Q And competent masters rely on competent help, and  
23 competent mates?

24 A In the proper place, yes. This wasn't the proper  
25 place to leave someone. This is a place the master should

1 have been on the bridge.

2 Q I assume, then, sir, you would say exactly the  
3 same thing if Captain Hazelwood had said, "I've got to go  
4 in the bathroom for awhile," and be in there -- he's there  
5 for six minutes, and he can't see rudder indicators, but he  
6 says, "Let me know when you start your turn." And Cousins  
7 says, "We're starting now, Captain?"

8 A The -- the thing is, you just kind of train  
9 yourself not to go to the bathroom at those times. That's  
10 the --

11 Q You just jump and down and --

12 A Whatever it takes.

13 Q Oh.

14 A But I -- normally when a vessel that size is  
15 turning, even with ten degrees rudder, you can certainly  
16 feel a lot of vibration in -- while it's making the turn.  
17 And that --

18 Q When -- have you ever been on the Exxon Valdez in  
19 a turn of right -- ten degrees right?

20 A I've been on large tankers for years, and every  
21 one I've been on has always -- with a ten degree turn, you  
22 can tell a change in the vibration. Every ship, when it's  
23 moving, has a little vibration.

24 Q Every one you've been on, but you haven't been on  
25 the Exxon --



1           A     I haven't been on the Exxon Valdez, but that  
2 would --

3           Q     So Captain Hazelwood would have been just as  
4 reckless with a bad case of diarrhea and having to go to  
5 the bathroom and not being there to see if Cousins watches  
6 a rudder indicator or not?

7           A     No one's every indicated in nothing I've ever  
8 read that he had diarrhea or that he had an upset stomach  
9 or anything of that kind, so --

10          Q     Granted. I'm saying if he -- if that had  
11 happened, he's not there to see it.

12          A     I'm sure that, you know, in a major medical  
13 problem, that would be taken into consideration when you're  
14 evaluating things. At this point, that wasn't part of  
15 the --

16          Q     Okay. Let's say it isn't a major medical  
17 problem.

18          A     -- information I had.

19          Q     Let's just say he was in the bathroom.

20          A     Like I say, a normal -- normal bathroom functions  
21 can be held back for a few minutes, or what have you, and I  
22 don't think that -- I don't think that leaving the vessel  
23 in a tight situation to --

24          Q     Well, he didn't leave the vessel, did he?

25          A     Or leaving the -- he left the vessel in a bad

1 situation. He didn't leave the vessel himself. But I  
2 don't think that doing that -- I don't think going to the  
3 bathroom normally, under normal circumstances, would  
4 warrant leaving the vessel's conn to a third mate in that  
5 situation, no.

6 Q Then what about -- there's a chart room right  
7 behind the bridge area, is there not? That's normally kept  
8 lighter than the bridge, and the bridge is kept dark?  
9 Captains normally go back there, too, occasionally, do they  
10 not?

11 A Yes.

12 Q And if Captain Hazelwood had stepped behind there  
13 and said to Cousins in effect, "I'm going to be over here  
14 for a few minutes doing something, let me know when you  
15 start the turn," and he is informed that, "Yeah, we're  
16 starting the turn," but he doesn't come out and check to  
17 see if that really was done, would that be the same  
18 recklessness?

19 A If he's in the chart room, he will \_\_\_\_\_ be  
20 able to check the fact that you'll hear the course recorder  
21 clicking as the heading is changing. This is something  
22 that a man with experience would automatically -- if you're  
23 in the -- you'd be in the chart room, you'll hear this,  
24 you'll know that making a course change, if you're  
25 concerned whether they're going the right way or not, you

1 can tell by looking at the course recorder.

2 Q And of course --

3 A So --

4 Q -- if that order, or that maneuver had been  
5 carried out, it wouldn't -- the turn would have been made  
6 in plenty of time, right?

7 A Yes.

8 Q So in essence, a master can be on the bridge and  
9 yet be in a situation where he is not available, and not in  
10 a position to readily see whether an order is carried out  
11 or not, because of the bathroom, chart room, something like  
12 that?

13 A The -- normally, going to the bathroom is a  
14 minute. It's not a ten or fifteen minute thing. He had  
15 five or six minutes from the time the course should have  
16 been changed until it was too late. And I -- there was no  
17 reason not to be on the bridge and, during that five  
18 minutes, if he had to go to the bathroom for a minute and  
19 back out, or if he stepped in the chart room and back out,  
20 he still had time to check and see if that -- that the  
21 course was properly changed.

22 Q And --

23 A And from the statement, he can't do that.

24 Q He's twelve seconds away, but he's vertically  
25 away, rather than twelve seconds away horizontally, right?

1           A     Yeah, he's out of -- up on the bridge deck area,  
2 you're in the realm of operating the vessel. Down in your  
3 stateroom, you're out of that -- that area, yes.

4           Q     But you would be out of the area in the sense  
5 that you're in the chart room and you can't see rudder  
6 indicators, and things like that?

7           A     The chart room -- the use and entering and  
8 leaving the chart room area from the bridge to the chart  
9 room is something you do normally and the functions of  
10 maneuvering a vessel. That's not -- that's traditionally,  
11 and that's -- you walk in there to look at the chart, or  
12 put a position down and back out. That's part of the  
13 routine.

14          Q     And, sir, lastly, if Mr. Cousins was a competent  
15 person, competent to the extent that all he had to do was  
16 look at a rudder indicator, and if he gave a command --  
17 assuming he gave the command to Mr. Kagans, and assuming  
18 Mr. Kagans -- Kagan -- was competent enough to turn a  
19 rudder ten degrees to the right, and Mr. Cousins told  
20 Captain Hazelwood whether he was in the chart room,  
21 bathroom, or even off the bridge and down in his state  
22 room, that, "We're starting our turn." "We're starting our  
23 turn." That, you said yesterday;, would be an indication  
24 that his degree of consciousness, or awareness of a risk,  
25 would be reduced. Would it not?

1           A     I -- if I said that -- I think that if a -- if a  
2 third mate told you he was altering course at that time, I  
3 would think that you would -- you would accept that, under  
4 normal circumstances. However, in their situation, this  
5 wasn't your usual position, that you have a third mate  
6 conning the vessel where he would be telling you what he's  
7 doing. This is a situation where you would be conn -- as  
8 the master would be conning the vessel.

9           Q     And you agreed yesterday other ships certainly  
10 went through the area around the ice at higher speeds close  
11 to Bligh Reef?

12          A     The -- yes.

13          Q     Okay.

14                   And you don't know necessarily who was on the  
15 conn at the time?

16          A     Well, from my looking at them, I -- I don't know  
17 specifically names, or anything, but they both took  
18 frequent fixes, which would indicate that there were two  
19 people on the bridge, and they --

20          Q     You don't know that for a fact?

21          A     It's certainly an indication that they did, and  
22 that's what we're having to work with. The facts that we  
23 have. And I don't approve of what they did, or what the --  
24 what the Brooklyn, I don't have -- they were on maneuvering  
25 speed. Their heading was -- or they never -- they never

1 put themselves heading behind Bligh Reef or anything.

2 Q But certainly, the --

3 A That was a normal maneuver.

4 Q -- the Arco Juneau was reckless?

5 A The Arco Juneau was excessive in their speed, as  
6 far as I'm concerned. They got a little close to Bligh  
7 Reef for that speed, and -- but they had fixes regularly.  
8 Apparently they had, as best I can determine, they had two  
9 people on the bridge, and I have to assume one of those was  
10 the master, who had pilotage for that area.

11 They also were right at -- the Juneau, it was not  
12 quite dark yet, which gives him a little better visibility  
13 than the Exxon Valdez had. So had --

14 Q What -- oh, I didn't mean to interrupt.

15 A Okay. But the degree of recklessness there is --  
16 it's still something I wouldn't do, something I don't -- I  
17 don't think was right, but the captain managed to do it and  
18 managed to go on about his business, and so therefore, it's  
19 not -- he's not here today. That's why.

20 Q Well, you don't know why he's not here today.

21 A He didn't run into the reef. That's why he's not  
22 here today.

23 Q Oh, is that why we're here today?

24 A You know, I mean, that's --

25 Q Because someone ran into the reef, but the same

1 person could be reckless and not run into the reef and  
2 that's okay?

3 A It's not okay, no. I don't approve of that, but  
4 then that's --

5 Q Well, do you approve of the state of Alaska  
6 judging the actions of tanker captains in Prince William  
7 Sound and deciding --

8 MR. COLE: Objection, Your Honor.

9 BY MR. MADSON: (Resuming)

10 Q And deciding who would be or not be --

11 MR. COLE: I object.

12 MR. MADSON: I withdraw the question, Your Honor.  
13 I agree it's improper.

14 THE COURT: (Inaudible).

15 BY MR. MADSON: (Resuming)

16 Q You've had, of course -- did you talk with Mr.  
17 Cole last night, or yesterday afternoon, after you finished  
18 in court here today -- yesterday?

19 A Not much. Just a minute or two.

20 Q Did he indicate that perhaps you should change  
21 your mind a little bit about the degree of recklessness of  
22 the Arco Juneau?

23 A No. He asked -- he asked me why I considered it  
24 reckless, and I told him. That's all.

25 Q How many other charts of other vessels have you

1 examined before coming here today?

2 A Just those two.

3 Q So you don't know how many other ships of  
4 whatever company -- Arco, Texaco, Exxon -- have executed  
5 similar maneuvers at similar speeds in the vicinity of  
6 Bligh Reef?

7 A No, that I don't know.

8 Q You don't know how many masters did not pilotage,  
9 and didn't have a state pilot on board between Rocky Point  
10 and Bligh Reef?

11 A No, that I don't either.

12 MR. MADSON: I have no other questions.

13 REDIRECT EXAMINATION

14 BY MR. COLE:

15 Q Captain Beevers, is it your understanding -- what  
16 is your understanding of whether the regulations with  
17 regards to pilotage vessels has changed?

18 A The way I understand it, is the only change from  
19 when they were originally started up here was the fact that  
20 a vessel without pilotage could transit from Hinchinbrook  
21 into the Bligh Reef area and back with approval -- on a  
22 trip by trip basis, with approval from the Coast Guard.  
23 Originally, that was a daylight transit which they now had  
24 been changed again, by issue of an order by the Captain of  
25 the Port, to the fact that it was a two-mile visibility and



1 a few other things, and they -- they had him put -- you had  
2 to have -- you wanted the details and what they required,  
3 or just the fact -- okay.

4           And that's -- that's the only change I know of,  
5 is that.

6           Q    Were there any changes to pilotage vessels  
7 themselves?

8           A    No. That's remained the same.

9           Q    And if you had any questions about what your  
10 responsibilities were as a master on board a tanker coming  
11 into Prince William Sound, who would you ask?

12          A    You'd call the Coast Guard.

13          Q    And how easy is that to do?

14          A    Well, that's exactly what I did when -- after  
15 this all happened, when I had heard that they'd made some  
16 changes in the pilotage, I called the -- Commander McCall  
17 in Valdez.

18          Q    Now, as a captain on the bridge, there -- even in  
19 times where you're required, are there times that you need  
20 to leave the bridge?

21          A    It can happen, yes.

22          Q    Are there times when you don't leave the bridge?

23          A    There's times when you definitely should not  
24 leave the bridge, and that I never did leave the bridge,  
25 yes.

1 Q What type of situations are those?

2 A Okay. Two things definitely is going through the  
3 narrows, and secondly is if you're maneuvering through or  
4 around the ice, or if you have a -- if you're maneuvering  
5 if there's other vessels in the area, and if you have to  
6 leave the traffic lanes or over to get close to any land,  
7 it's definitely a time for the master to be onboard.

8 Q Now, Mr. Madson asked you about delegating, or  
9 relieving, the Chief Mate, how a master would take over a  
10 Chief Mate's watch. Are there other ways to do that?

11 A Yeah. You know, I was looking at going over that  
12 -- I was looking, and it seemed to me the Chief Mate had  
13 time off between 8:00 a.m. and noon in his statement. He'd  
14 had time off between 1:00 p.m. and 4:00 p.m. and then true,  
15 he was up until 10:00 o'clock. But it seemed to me that at  
16 the time that he would have been coming on watch at 4:00  
17 a.m., that he would have had more rest than Captain  
18 Hazelwood during the day.

19 But another way to alleviate that problem is the  
20 same as they were doing at midnight, when Cousins stayed up  
21 a little longer to allow LeCain to have a little rest.  
22 There would have nothing wrong with the two watch mates  
23 doing this until the Chief Mate had had a full night's  
24 sleep, if that's what he needed. There wouldn't have been  
25 a problem with -- if they wanted him to have eight hours

1 sleep before he went on watch, Cousins could have stood  
2 until 1:00 o'clock, LeCain could have added an extra hour  
3 on his watch, and then the Chief Mate could have came on.

4           It didn't have to be that Captain Hazelwood had  
5 to relieve him. As far as I could see, Kunkel had enough  
6 rest as it was. He could have stood his own watch.

7           Q     As a master of a tanker, are there certain duties  
8 that you do not delegate?

9           A     Yes.

10          Q     What are those?

11          A     The -- you don't delegate your --

12               MR. MADSON: Excuse me, Your Honor. I'm going to  
13 object unless it's clear this witness is testifying only  
14 from his personal preference. There's no regulation or law  
15 that he's referring to.

16               THE COURT: He may give his opinion. I take it  
17 as opinion. Objection overruled.

18               THE WITNESS: You don't delegate your authority  
19 when you're maneuvering at close quarters, docking,  
20 undocking a vessel, maneuvering in any area where you're  
21 close to a danger to the vessel. That's just something  
22 that is not done.

23               When you're a little further out, if you have to  
24 go below for a couple of minutes and you're transitting  
25 through the traffic lanes, you know, common sense would

1 tell you if you have to go below for a minute or two,  
2 that's the time to do it, and that, I doubt, would -- it  
3 may not comply with the law that you have to be up there  
4 all the time, but I think that that's acceptable. If  
5 something happens, you can run below and back.

6 BY MR. COLE: (Resuming)

7 Q Who handles the majority of commands during  
8 docking and undocking procedures?

9 A The -- you're directly giving the commands to the  
10 -- it depends on the situation. On a -- normally, on the  
11 bigger ships, and the way I did it on my ship, was the  
12 pilot, if we were in the wheelhouse, the pilot would issue  
13 the commands to the quartermaster, and the command for the  
14 engine speed change.

15 If we were out on the bridge wing, then he would  
16 tell me, and I would use the walkie-talkie to call in so we  
17 didn't have to shout and have any misunderstanding with  
18 yelling back and forth.

19 Q How do you find out whether or not a vessel's  
20 sailing time has changed when you're in Valdez?

21 A You can call the terminal, or you can call the --  
22 your agent would be a good -- would know.

23 Q Captain Beevers, would you -- would leave the  
24 bridge of your vessel in the Valdez Arm, relying on the  
25 fact that if your vessel got into trouble, the Coast Guard

1 would contact you and let you know?

2 A No.

3 Q Why?

4 A First off, it's your responsibility to maneuver  
5 properly. Secondly, I wouldn't have that much confidence  
6 in their radar plotting in at their -- you know, you're  
7 getting further off at a distance. The people manning  
8 that, I have never met before, would have no idea of that,  
9 and I've always considered the -- their radar as strictly  
10 an advisory to the vessel. Anything that they would say, I  
11 would certainly check it, and do -- do what I felt was  
12 right.

13 Q Why, in your opinion, is it necessary for a  
14 master to have, to be aboard, be on the bridge when  
15 transitting the narrows?

16 A Well, you're in restricted waters, a very narrow  
17 channel. You're going at a reduced speed. The reason they  
18 picked the six knots as reduced speed, that's after tests,  
19 they decided that was the optimum speed that you could  
20 still steer your vessel and have a minimum damage, if you  
21 lost steering, and if you lost your plant, would still  
22 basically drift on through the narrows. And why a master  
23 is up there is that any, you know -- it's the tightest  
24 place in the Sound and it's a place that, if there was a  
25 problem, you would want to immediately be able to react,

1 and you would be able to tell your crew what you wanted  
2 them to do and get a response as soon as possible.

3 Q Mr. Madson asked you some questions yesterday  
4 about when Captain Hazelwood came to the bridge. Does the  
5 fact that Captain Hazelwood may have come to the bridge  
6 earlier change your opinion about whether he used bad  
7 judgment in not being on the bridge through the narrows?

8 A No. At that point, it's -- they were beyond the  
9 narrows, at Potato Point, and that doesn't change my  
10 opinion that his -- his not being on the bridge at that  
11 time was a bad judgment call.

12 (Pause)

13 Q In evaluating Mr. Cousins' and Mr. Kagan's  
14 statements, are they in conflict with the physical evidence  
15 in this case?

16 A Yes.

17 Q And did their prior statements, were they in  
18 conflict with the statements in this case?

19 A Yes.

20 MR. MADSON: What statements are we talking  
21 about? Prior to what, when, and -- I'd like a little more  
22 foundation, so we could look at that if we had to.

23 THE COURT: The question has already been  
24 answered. You may ask your next question.

25 BY MR. COLE: (Resuming)

1           Q     Captain Beevers, once again, why would -- if your  
2 third mate brought you a computer program which he said he  
3 ran to grounding, in the grounding mode, why wouldn't you  
4 relay -- rely upon the stability figures from that?

5           A     If the Chief Mate --

6           Q     -- brings the computer printout up to you. Why  
7 wouldn't you rely on it?

8           A     Well, because obviously, looking at the program  
9 you would see that you had two-thirds of your tanks  
10 ruptured, so you would have to assume that there's a  
11 tremendous amount of structural damage to the bottom, which  
12 may -- would weaken the integrity of the vessel, and that's  
13 what the stress figures are all based on, it's what your  
14 stability is based on, is an attack ship.

15                     And I would take that as final, you know, as a  
16 piece of information to use, but I certainly wouldn't rely  
17 on it as the whole -- to make every decision on. That's  
18 just another factor, and I would -- I would be very leery  
19 of the fact that it showed that it would stable, and the  
20 fact that it showed that it could go to sea, or it could  
21 float, or anything else. I would just think that the hold  
22 tanks are the more important part of that.

23           Q     Would you rely on it to the extent that you would  
24 attempt to get your tanker off the reef, a rock reef?

25           A     No.

1 Q Were Captain Hazelwood's actions that evening  
2 consistent with the statements that he gave both the Coast  
3 Guard and the trooper that day?

4 A I believe so, yes.

5 Q How important is it to give the Coast Guard  
6 important information when you call them?

7 A Well, it's accepted that you're going to give  
8 them the information that is required, that they need, and  
9 it's -- it's important because there -- at this point,  
10 they're handling the response team, they're handling  
11 notifying the proper agencies, getting equipment out. So  
12 you should keep them -- give them as accurate information  
13 as you have.

14 (Pause)

15 Q I'm showing you Plaintiff's Exhibit Number 29.  
16 Do you recognize that?

17 (TAPE CHANGED TO C-3648)

18 A Yes. This is the chart of the Busby Island/Bligh  
19 Reef area.

20 Q And is that an accurate representation?

21 A Yes.

22 Q Do you remember seeing this chart?

23 A Yes. This has got -- this is the copy, I think,  
24 that the Coast Guard picked up, is that right?

25 Q And when you look at that, can you tell where the



1 plot of this vessel was when it grounded on Bligh Reef?

2 THE COURT: What number are you referring to?

3 MR. COLE: Number 29. Exhibit Number 29.

4 THE WITNESS: Well, they have an arc here, and an  
5 arc this way, and it looks like either a bearing line --  
6 it's scribbled, but there's -- looks like two possible  
7 positions here. There's two dots. But anyway, one of  
8 these two dots is -- perhaps they had a range in bearing,  
9 and each one, and that's the range in bearing, that's the  
10 range in bearing, so the position would be either one of  
11 those two, or in between, or in that area, yes.

12 BY MR. COLE: (Resuming)

13 Q And right behind that, what's the depth of the  
14 reef right behind?

15 A That's five fathoms. That's approximately thirty  
16 feet.

17 Q And what else was behind the vessel?

18 A Reef Island.

19 Q And what was in front of the vessel that the  
20 tanker captain was looking at?

21 A The traffic lanes?

22 MR. MADSON: Excuse me. I'm going to object. We  
23 don't know that the captain was looking at that. There's  
24 no -- no foundation for that whatsoever, and he's leading  
25 the witness.

1 THE COURT: Rephrase your question, Mr. Cole.

2 BY MR. COLE: (Resuming)

3 Q What fathom marks were in front of the Exxon  
4 Valdez as she lay at rest?

5 A Okay. As soon as you get off the reef, you've  
6 got 22 fathoms, 40 fathoms, 33 fathom. It's -- you're very  
7 close to deep water there.

8 Q Twenty-two fathoms is approximately how deep in  
9 feet?

10 A One hundred and thirty-two.

11 Q Five fathoms is approximately what?

12 A Thirty. Thirty.

13 Q And the draft of this ship was?

14 A Fifty-six foot, in that area.

15 Q Captain Beevers, what happens when this vessel  
16 rounded, prior to the first time that it shut off? Do you  
17 remember reading the Chief Engineer's statement of what he  
18 observed when he was in the engineering room?

19 A Yes. At the time, they were in program up mode,  
20 and the engine was overheating.

21 Q And that was between --

22 A That was 12:07 and 12:20, yes.

23 Q And that was when it was on load program up?

24 A Yes.

25 Q What happens to the bottom of the vessel when

1 it's stuck on a reef and you turn it back and forth?

2 A Well, you're undoubtedly doing more damage to the  
3 area that is sitting on the reef.

4 Q Why do you say that?

5 A Because of the weight of the vessel, and the fact  
6 you're unlocked, and the fact that you're with a -- with  
7 turning, you're moving -- at each end of the vessel, you're  
8 moving considerable, you know, up to a hundred feet,  
9 probably, from one side of the arc to the other. So  
10 there's considerable movement, and you would definitely  
11 damage the vessel.

12 Q If a vessel was going to be lifted off a rock by  
13 high tides, by high tides, by cresting of high tides, would  
14 driving it full ahead, full maneuvering speed, keep you on  
15 that rock?

16 A It would not depend on how -- sitting on a rock,  
17 like it turns out the Exxon Valdez was, I doubt it very  
18 much. Going at full speed, if the ship indeed did float up  
19 would merely cause you to go off the reef, because there  
20 was nothing in front of him to lay it -- if you're going to  
21 go full ahead and stay on the reef, you have to make sure  
22 your bow is pointed in the direction of shallower waters,  
23 so that you'll stay where you want to stay.

24 Q Now, Captain Hazelwood -- or -- when you  
25 evaluated the tanker captain of the Arco Juneau, had you

1 ever been on a ship like that before?

2 A Yes. I was on a ship that was exactly like  
3 that. I was on the Overseas Juneau, and that was  
4 originally built for Arco and sold to Maritime Overseas  
5 before it was completed being built, and then I was captain  
6 on that for four or five years, something like that.

7 Q And is it a steam turbine, or a diesel?

8 A That's a steam turbine.

9 Q What was it about that -- his transit that you  
10 found to be unacceptable \_\_\_\_\_?

11 A Okay. What I found unacceptable about it is that  
12 he was going at sea speed when he's very close to Bligh  
13 Reef, and also with ice in the area. And the --

14 Q Why is that a problem?

15 A Well, his vessel, as I say, is a steam turbine,  
16 and if he's up to sea speed, if you immediately come back  
17 to maneuvering speed on a turbine, you end up having to  
18 dump so much steam in your condensers, you -- you don't --  
19 what you do is, as your steam is used through your turbine,  
20 it's dropped down and condensed back to water, and pumped  
21 back in the boiler as water.

22 And if you get too much steam in there, it can't  
23 condense, and you're putting steam right back in your  
24 boiler, and this upsets the water and can create a problem  
25 with the boiler, or a problem with the turbine, for that

1 matter, and could be a serious problem for the engine.

2           So you have to have time to slow a steam turbine  
3 down. It's not something that you would just do  
4 automatically. A diesel, you can slow down a lot quicker.  
5 So --

6           Q     About the plots on the -- on the chart of the  
7 Arco Juneau, does that give you an indication of who -- of  
8 how many people were on the bridge?

9           A     Yes, it's -- there were significant plots to  
10 indicate that there were probably two people on the bridge,  
11 all the way through the transit.

12          Q     Now, one thing I would like you to point out to  
13 the jury, the Exxon Valdez is right here. Let's say it's  
14 about a mile north of Busby Island. How long are we  
15 talking about before that vessel gets back over into that  
16 safe area?

17          A     Well --

18               MR. MADSON: I object to the form of the  
19 question. It assumes. It's leading, and it's also  
20 assuming something that is not in evidence, of what's safe  
21 and what isn't safe.

22               MR. COLE: I'll withdraw it.

23               BY MR. COLE: (Resuming)

24          Q     How long are we talking about that Captain  
25 Hazelwood had to be on the bridge before he got back into

1 the TSS lane?

2 A You've got roughly six or seven miles to get --  
3 get passed Bligh Reef and, depending on how fast he could  
4 get back over here, and six miles, so it's a little over a  
5 half-hour. So if he'd have stayed on the bridge,  
6 maneuvered the vessel around and through that, probably  
7 within thirty minutes they would have been well clear of  
8 the ice, well clear of Bligh Reef and back over in this  
9 area someplace where he could set a course to come back  
10 into the proper lane.

11 Q Now, Captain Beevers, I'd like to talk for a  
12 minute about your experience in going through ice. When  
13 you were travelling in the area of Antarctica, what type of  
14 icy conditions did you get in that area?

15 MR. MADSON: Your Honor, excuse me, but I don't  
16 see the relevance of comparing Antarctica with Prince  
17 William Sound. Well, that's my objection.

18 THE COURT: (Inaudible). \_\_\_\_\_ chance to go  
19 over a couple of questions and get on track.

20 BY MR. COLE: (Resuming)

21 Q What kind of conditions --

22 A Okay. On the way southbound, out in the ocean in  
23 deep water, the first thing you would come across is large  
24 icebergs, and they're, you know, anywhere from the size of  
25 a ship on upwards. They're much bigger down there than

1 they are up here. And you travel through that, on into  
2 calmer -- calmer waters.

3           What keeps the icebergs in that area is the rough  
4 water further north. There's a -- in the 50s, it's usually  
5 high winds, and the icebergs naturally will drift out as  
6 far as they can, and then they just circle the earth. In  
7 effect, they're -- once you get inside that, you run into  
8 areas of ice that are -- you have areas of open water, of  
9 course, too, but you run into areas of sea ice that has  
10 been frozen, broken up into huge pancake sheets that may be  
11 any, you know, one to two foot thick, maybe thicker,  
12 depending on the -- how the winter was.

13           And this drifts around and, through the month,  
14 ends up in huge long tidal rows, wind rows, or something.  
15 You'll have an open stretch of water, and you may have a  
16 stretch of ice that, as far as you can see, that may be a  
17 mile, two miles across -- maybe a half-a-mile across,  
18 depending on that particular one, that you either have to  
19 maneuver around, if it's possible, and if you look from  
20 horizon to horizon, there's nothing but ice, obviously, the  
21 thing you do then is you maneuver through this ice. And --

22           Q     And you maneuvered through ice and went around it  
23 in Prince William Sound?

24           A     Yes.

25           Q     And always, what was your utmost objective?

1           A     The safety of the vessel and the crew. That's --  
2 you have to -- that's the big concern with operating a  
3 ship, is to -- you have to keep your vessel in a safe  
4 condition, and keep it afloat.

5           Q     Did you ever have any problem going through ice,  
6 weaving your way through?

7           A     In Prince William Sound, no.

8           Q     And what is the advantage of going around the  
9 ice?

10          A     Versus through?

11               MR. MADSON: Your Honor, I'm going to object.  
12 It's been asked and answered. I think it's obvious by now  
13 that there is no \_\_\_\_\_ to determine there is no proper  
14 way to do it, or not do it. It's immaterial and irrelevant  
15 which he would do, and problems he may have, or advantages  
16 he thinks that exist.

17               THE COURT: Objection overruled.

18               BY MR. COLE: (Resuming)

19          Q     What is the advantage to going around?

20          A     The advantage to going around is you -- one, you  
21 don't have to maneuver through the ice. Number two is that  
22 you save time in this situation, because you can -- going  
23 around the ice, you can go faster than when you're  
24 maneuvering through the ice.

25          Q     Captain Beevers, if Captain Hazelwood had wanted



1 to be sure that Mr. Cousins was giving the orders  
2 appropriate to avoid this ice situation, how could he have  
3 done it?

4 A By being on the bridge.

5 Q And if he wanted to make sure that Mr. Kagan was  
6 following those orders as he was given, how could he have  
7 done it?

8 A Again, by being on the bridge.

9 Q Thank you.

10 THE COURT: Mr. Madson, why don't we take our  
11 break, and --

12 MR. MADSON: That's fine, Your Honor --

13 THE COURT: -- come back here.

14 MR. MADSON: I didn't realize it was 10:00  
15 o'clock. Sure.

16 THE COURT: All right. Remember my instructions,  
17 ladies and gentlemen not to discuss the matter among  
18 yourselves or to form or express any opinion (inaudible).

19 THE CLERK: Please rise. This court stands in  
20 recess subject to call.

21 (A recess was taken from 10:01 a.m. to 10:22  
22 a.m.)

23 THE CLERK: This court now is in session.

24 THE COURT: Mr. Madson?

25 MR. MADSON: Thank you, Your Honor.

## REDIRECT EXAMINATION

1  
2 BY MR. MADSON:

3 Q Captain Beevers, at the risk of kicking this  
4 horse one more time -- if it's not dead, maybe we'll finish  
5 him off here, shortly -- before we go too far, let me hand  
6 you something here.

7 I'm handing you what's previously been marked as  
8 Exhibit AJ. I believe -- do you care to see this again?

9 (Pause)

10 Let me ask you if you can identify this, sir.

11 A Yes. This is a paper with a list of positions  
12 that was taken on board the Exxon Valdez on April 2nd by --  
13 it's four positions here, three of which were taken or  
14 observed by me, one of which the ship's officers had taken.

15 Q And you signed that document, did you not?

16 A Yes.

17 Q It appeared to be a true and accurate copy?

18 A Yes.

19 Q Okay. This was on April 2nd, was it?

20 A April 2nd.

21 Q And it was on the Exxon Valdez after the  
22 grounding?

23 A Yes.

24 Q What was the purpose of taking these pictures?

25 A Two things. One is so we'd have an idea of where

1 the vessel was at, and then to check the equipment that  
2 would be used to take fixes to see if it was working  
3 properly.

4 Q You also got gyro headings, did you not?

5 A I believe so, let me -- yes. Yes.

6 Q Okay. Those told the -- not only the location of  
7 the vessel on the reef -- let me back up.

8 Mr. Cole showed you earlier a chart, did he not?

9 A Uh-huh.

10 Q And you said, "Here's" -- basically, "Here's  
11 where the vessel was, on Bligh Reef." And you pointed to a  
12 spot on the chart, right?

13 A I pointed to an area, yes.

14 Q Okay. And you could do the same thing with the  
15 chart over there, right?

16 A Uh-huh.

17 Q Okay. What I'm getting at is, that tells you the  
18 location on a chart, but it does not tell you the heading  
19 of the vessel, from just looking at the chart, right?

20 A No. How you would tell the heading of the vessel  
21 is with other information such as here, where we read the  
22 gyro, or in the case of the grounding, you'd use the course  
23 recorder.

24 Q Okay. So from that document there, you were able  
25 to determine not only the position, that it was, in fact,

1 on Bligh Reef --

2 A Uh-huh.

3 Q -- but the actual physical position of the vessel  
4 with relationship to how it was on Bligh Reef --

5 A Yeah.

6 Q -- and which direction it was taking?

7 A On April 2nd, yes.

8 Q On April 2nd.

9 A Yes.

10 Q Now, do you know whether or not this -- the  
11 heading on April 2nd was different, or the same, as the  
12 heading that it was on the 24th?

13 A It seems to me -- I'd have to look, but it seems  
14 to me it was 280 something on the 24th when they finished  
15 up, according to the course recorder, and it's 294 here.

16 Q Okay. So there may be a difference of 10 degrees  
17 or so?

18 A They had done -- yes. There's ten degrees,  
19 roughly, different. They had done some lightering and  
20 stuff, too, in there, so that -- that just doesn't mean  
21 that's where it actually ended up at the end of the --

22 Q Yeah. What I'm getting at, sir, if you know,  
23 roughly, it's within, say -- as far as you know -- ten  
24 degrees of its original position?

25 A Yes, within a point on the compass, yes.

1 Q Okay. But the point is, the heading on the reef,  
2 the position as the vessel lies on the reef, would tell  
3 you, would it not, exactly -- if you were going to compare  
4 that with soundings, or, you know, as far as the depth of  
5 water is concerned, the exact position, is it necessary to  
6 determine what water you have behind you, or ahead of you,  
7 on the port side or starboard, right?

8 A Uh-huh.

9 Q Now, you also indicated -- Mr. Cole asked you  
10 about well, if he had questions about pilotage, you know,  
11 you go to the Coast Guard. They're the ultimate authority  
12 on this, as I --

13 A On the day-to-day basis, yes, yes, they are.

14 Q So you went to Captain McCall, and asked him, you  
15 know, what he meant by this, right? What he meant by his  
16 orders?

17 A Right.

18 Q When did you do that?

19 A This was sometime after the grounding, probably  
20 on or around or -- it wouldn't be on, but near this --

21 Q After the grounding.

22 A Yeah. Near that -- April 2nd.

23 Q You don't know whether or not the Coast Guard had  
24 any interest in what might happen, any litigation involving  
25 them, or the fact that they may be potential Defendants in

1 a case, or anything like that, right? Captain McCall  
2 didn't -- you know, have any reservations about that?

3 A I was surprised he didn't. He told me exactly  
4 what he had, there, yes. I --

5 Q What do you mean, you were surprised? You  
6 expected him to --

7 A I wouldn't have been surprised if he'd had said,  
8 you know, no comment or something, if -- because he didn't  
9 have any idea who I was when I was calling up. I just  
10 called up and asked him about it.

11 Q Certainly, he was telling you, whoever you were  
12 -- I mean, whoever he thought you were -- hey, this was  
13 perfectly obvious. This was what I meant, you know?  
14 Perfectly clear, you know?

15 A Yeah.

16 Q Taking all that responsibility away from the  
17 Coast Guard -- if there was any, right?

18 Now, you also talked about the possibility of  
19 other people taking the Chief Mate's watch, and whether he  
20 could have stood that watch, rather than Captain Hazelwood  
21 doing it for him, right?

22 A Uh-huh.

23 Q Again, this is a nice thing to look at in  
24 hindsight, right?

25 A Uh-huh.

1 Q And would you also agree it's the captain's  
2 prerogative to decide who might be tired, and who's the  
3 best person to take over for another one?

4 A That's correct. He could make that decision  
5 anytime he wants to. I just was pointing out that it  
6 seemed that Mr. Kunkel had probably had -- at that time,  
7 had as much rest as anyone else. So --

8 Q Well, maybe you might ask Mr. Kunkel that. He  
9 might have been able to say, "Hey, I was really tired. I  
10 appreciated having a few more hours of sack time." Right?

11 A Could -- I'm sure he would appreciate having the  
12 time off, yes.

13 Q Now, certainly, sir, while the master or captain  
14 of the vessel is very important, if he should drop over  
15 with a heart attack, or get severely ill, the ship doesn't  
16 come to a complete halt and everybody just run around,  
17 saying, "What do we do now?" That doesn't happen, does it?

18 A Well, it shouldn't happen. There's a progression  
19 of order there, yes.

20 Q Now, for instance, in the Exxon Valdez, Kunkel,  
21 Mr. Kunkel, had a master's license?

22 A Uh-huh.

23 Q He would be authorized to operate this vehicle?  
24 Authorized -- when I say that, maybe not by Exxon hiring  
25 practices, but by Coast Guard standards, he was authorized

1 to operate that vessel and command it.

2 A Oh, yes. He had the license. He could have been  
3 -- they could just as well have named him captain of that  
4 vessel, if they'd had chosen to. That's right.

5 Q Now, you also talked about when captains should  
6 be on the bridge and when they shouldn't, and again you  
7 said, close quarters. If you were a mile from Busby Island  
8 and two miles from Bligh Reef, you consider that close  
9 quarters?

10 A For a ship that size, yes.

11 Q And you disagree with Captain Murphy when he says  
12 those waters aren't dangerous?

13 A The --

14 MR. COLE: Objection, Your Honor. I don't think  
15 that's what he said. If he's saying this situation is not  
16 dangerous? If he's saying general travel in the area of  
17 Busby Island --

18 THE COURT: Are you asking him if he does  
19 disagree?

20 MR. MADSON: Yeah.

21 THE COURT: Okay.

22 BY MR. MADSON: (Resuming)

23 Q Just if he just agrees that if Captain Murphy, in  
24 fact, had indicated in that area it was not dangerous in  
25 his opinion, would you agree or disagree?



1           A     On that, with the conditions the way they were  
2 then, yes, I'd disagree with him.

3           Q     You also said that the Coast Guard -- you  
4 wouldn't rely on them to tell you you were off course, but  
5 you would at least expect them to advise you that you may  
6 be off course, wouldn't you not?

7           A     Yes. Before -- up until this, yes. I would have  
8 expected them to advise you you were off course.

9           Q     After the grounding now you wouldn't have that  
10 expectation?

11          A     Yeah. I realize now they're not doing it. To  
12 that point, I thought they were checking it, yes.

13          Q     No reason to think Captain Hazelwood didn't have  
14 the same knowledge that you did, and the same --

15               MR. COLE: Objection.

16               BY MR. MADSON: (Resuming)

17          Q     -- believe that you did, is there?

18               MR. COLE: Objection. Speculation.

19               THE COURT: He'd have no way to answer that  
20 question. (Inaudible) answer it. Sustained.

21               BY MR. MADSON: (Resuming)

22          Q     Now, with regard to the statements of Cousins and  
23 Kagan turning off the auto pilot, you looked at a number of  
24 their statements, did you not?

25          A     Yes.

1 Q They were entirely consistent at all times,  
2 weren't they, that the auto pilot was turned off?

3 A I'd have to review them each individually now,  
4 but I believe that somewhere along the line they both had  
5 said, yes, they're off. But there's -- I've never got a  
6 clear picture of just exactly when, what and how. I said  
7 that the other day, I believe, that somewhere along the  
8 line they both said that the auto pilot was off, yes.

9 Q In addition to their statements, they both  
10 testified under oath at the NTSB hearings here in  
11 Anchorage, did they not?

12 A Yes.

13 Q Did you review that testimony?

14 A Yes.

15 Q And they both said clearly at that time, it was  
16 turned off?

17 I'm afraid you'll have to answer out loud.

18 A Yes. Yes.

19 Q You testified again on direct examination about  
20 possible damage to a ship if it was turning, say, a hundred  
21 feet laterally -- you know, after it's grounded.

22 A Yes.

23 Q Okay. Did you talk to Captain Greiner about his  
24 theory of the grounding?

25 A We discussed it, but nothing specific that I

1 recall.

2 Q Well, did he mention to you anything about maybe  
3 94 feet of possible movement, of the bow?

4 A We both figured out various -- depending on the  
5 point -- at the time that I was discussing it with him, I  
6 wasn't sure of where the point was, but we took various  
7 measurements and figured out, and I got one scenario in  
8 which -- I don't have the figures with me here -- of 123  
9 foot, one of just over a hundred, and I think he had  
10 something less than that. But --

11 Q And there's a lot of scenarios?

12 A Oh, sure.

13 Q Yeah.

14 A You know, it's all speculation at that point.  
15 You know it's swinging. You know it's moving. We were  
16 just trying to determine how far it actually was swinging.

17 Q And that would be almost like on a pinnacle,  
18 would it not? It's pivoting, like this?

19 A Uh-huh.

20 Q If there's a distance of, let's say, a hundred  
21 feet, hundred and fifty feet, that the vessel is actually  
22 riding on, in -- you know, 150 feet is a relatively long  
23 distance, is it not?

24 A Well, yes. It's --

25 Q And if the ship is having to move on that 150

1 feet, that is, swing, when it -- that distance, wouldn't  
2 you expect to see some lateral damage, obvious on the hull  
3 of that vessel?

4 A You would expect to see that. I didn't --

5 Q I may have used the wrong word.

6 A Yeah.

7 Q That's the transverse, okay?

8 A Yes, I know what you mean.

9 Yes, you would, and I would -- that's one of the  
10 things that I believe they went into. I happen to not go  
11 to San Diego when they looked at it, so --

12 Q So you didn't go down there to see if any such  
13 damage was observed?

14 A No.

15 Q And you know, from talking with Captain Greiner,  
16 he -- did he tell you that they saw no damage to indicate  
17 the ship had turned in a sideways fashion at all? Did not  
18 determine that?

19 A Apparently, there wasn't anything that they could  
20 see. I think what they determined is that it had either  
21 been crushed in so badly, or broken away, or cut off before  
22 they got to see the ship, that they really couldn't  
23 determine if there had been or there hadn't been.

24 Q Okay. So then what you did, and Captain Greiner  
25 did, was take the worst case scenario, right?

1           A     I just took an idea that they were approximately  
2 330 or 350 feet off, and assumed that it pivoted on that  
3 point. I didn't take into consideration that it -- still,  
4 if you're pivoting, I would assume that there's a point --  
5 somewhere, there's a center of that circle, whether you've  
6 got 150-foot base that it's pivoting around, or whether  
7 you've got a pinpoint. There's still a point, and that's  
8 all -- all I was trying to do was determine actually how  
9 much swing that they were getting.

10           Q     And, of course, there's no way of determining  
11 now, or even earlier, what, if any, damage was caused in  
12 excess of what was already caused by the initial grounding  
13 itself?

14           A     That's correct. I -- I couldn't determine any --  
15 you know, I wouldn't be able to do now, and I wouldn't have  
16 been able to, probably, in San Diego at the -- if other  
17 people couldn't.

18           Q     Yeah.

19                     You talked a little bit, again, about steam  
20 turbines and diesel engines. From your knowledge of a slow  
21 speed diesel engine, such as that on the Exxon Valdez,  
22 isn't it true, sir, that when you turn the diesel engine in  
23 reverse -- in other words, you put it in reverse -- you  
24 have all the power available in reverse as you have in  
25 forward?

1           A     You have all the power on the engine, yes. Where  
2 you have trouble with power is the fact that the propeller,  
3 and the prop washing against the vessel.

4           Q     Okay. You have horsepower. But you don't  
5 necessarily have the same amount of thrust?

6           A     Right.

7           Q     Is that what you're saying?

8           A     Yeah.

9           Q     But the engine itself will turn just as much?

10          A     Oh, yeah. Yes. Yeah.

11          Q     And the propeller will go around, just in  
12 reverse, just as much. Same RPM, everything like that?

13          A     Yeah, yeah. It's just you don't have -- if I've  
14 given you the impression that it didn't have the same RPMs  
15 astern as ahead, that's wrong. It does.

16          Q     The only difference is because you have the bulk  
17 of the vessel behind you, instead of pushing it, you're  
18 kind of pulling it?

19          A     Yeah.

20          Q     Right?

21          A     Yeah, that --

22          Q     Now, last -- getting to the end here, hopefully  
23 -- the Arco Juneau -- you went into that a little bit, and  
24 the Brocklin, those were the last two trips out of Valdez  
25 prior to the Exxon Valdez, correct?

1 A To my knowledge, yes.

2 Q And you examined no other ones?

3 A No.

4 Q So if you were to assume, sir, that those two  
5 trips, by the Brocklin and the Arco Juneau, and the Exxon  
6 Valdez, all went around the ice -- maybe not exactly the  
7 same course, but at different speeds, but went 'round the  
8 ice, would you tend to believe that that might be the  
9 normal procedure for what is done in Prince William Sound?

10 A I would say that that may have been what they  
11 chose at that time. It may be normal, yes.

12 Q When I say for Prince William Sound, I am, again,  
13 assuming that there's ice conditions.

14 A Yeah.

15 Q That would cause one to make those maneuvers.

16 A Right. That may be normal. I -- you know, I  
17 can't speak for everybody transitting it through there. It  
18 would appear that they -- all three determined to go around  
19 at that time for some reason, yes.

20 Q But that was three in succession, wasn't it?

21 A Yes.

22 Q And so they chose to go around and not what you  
23 necessarily might do, by slowing down \_\_\_\_\_.

24 A Yes. That's a decision for the master to make,  
25 on site at that time. Yes.

1 Q And lastly, sir, you are retired, correct?

2 A Yes.

3 Q You don't have to be concerned about perhaps  
4 sitting -- having other people sit in judgment of your  
5 actions in the future as a --

6 A As a sea captain.

7 Q -- in command of a vessel, right?

8 A No. No.

9 Q And of course, your -- if I were to stand here  
10 for the next two days, you aren't going to substantially  
11 change your opinions, are you?

12 MR. COLE: Objection.

13 THE COURT: I don't think that's going to help  
14 anybody, that answer to that question.

15 BY MR. MADSON: (Resuming)

16 Q Let's say, sir, that you have pretty firm  
17 opinions, right, in this case?

18 A On what I've read and seen, yes, I do have a firm  
19 opinion.

20 Q And you don't feel, in all fairness, that your  
21 fee in this case influenced any of those opinions at all,  
22 not in the slightest?

23 A No.

24 MR. MADSON: I don't have any further questions.

25 THE COURT: Anything further, Mr. Cole?



1 MR. COLE: Just two or three areas.

2 THE COURT: All right.

3 REDIRECT EXAMINATION

4 BY MR. COLE:

5 Q Captain, what would tell you that the vessel, the  
6 Exxon Valdez, was moving -- the heading of the vessel was  
7 moving on March 24, 1989, between, say, 12:35 and 1:40?

8 A The most obvious thing that would tell you that  
9 it's moving is the course recorder, because you're changing  
10 heading as it's -- as the weather is being -- had been put  
11 over one way or the other.

12 Q As a retired master, you don't have to go back to  
13 the shipping industry and face the pressures of the  
14 shipping industry for testifying in this case, do you?

15 A No.

16 MR. COLE: Thank you. Nothing further.

17 THE COURT: All right.

18 May this witness be excused from further  
19 performance?

20 MR. COLE: Yes.

21 THE COURT: Mr. Madson?

22 MR. MADSON: He may be excused, yes, sir.

23 THE COURT: All right. You're excused.

24 (The witness was excused.)

25 THE COURT: You may call your next witness.

1 MR. COLE: Yes. At this time, we would call Mr.  
2 Bill Milwee.

3 (Pause)

4 Whereupon,

5 WILLIAM MILWEE

6 called as a witness by counsel for the State of Alaska, and  
7 having been duly sworn by the Clerk, was examined and  
8 testified as follows:

9 THE CLERK: Sir, would you please state your full  
10 name, and spell your last name?

11 THE WITNESS: My name is William I. Milwee, Jr.  
12 M-i-l-w-e-e.

13 THE CLERK: And your current mailing address?

14 THE WITNESS: 4019 Southwest 55th Drive,  
15 Portland, Oregon 97221.

16 THE CLERK: And your current occupation?

17 THE WITNESS: I'm a consultant in marine salvage  
18 diving, towing and related disciplines.

19 THE CLERK: Thank you.

20 DIRECT EXAMINATION

21 BY MR. COLE:

22 Q Mr. Milwee, why have you been asked to testify in  
23 this matter?

24 A I was asked to look at the Exxon Valdez and the  
25 incident in which it grounded on Bligh Reef, and to

1 evaluate the action that was taken following the grounding.

2 Q Before we talk about this, would you tell the  
3 jury what your education background is?

4 A I have a BS from the U.S. Naval Academy in 1959.  
5 I have a Master's in naval architecture from Webb  
6 Institute, and a Bachelor's in marine engineering.

7 Q And where did you get your Bachelor's in marine  
8 engineering?

9 A At Webb Institute, also.

10 Q What is Webb Institute?

11 A It's a school of naval architecture in New York.

12 Q And after -- would you explain what your naval  
13 career --

14 A Yeah. First four years after I graduated from  
15 the Naval Academy, I was a line officer. I served in  
16 destroyers as a deck officer, and was Chief Engineer. I  
17 was the -- during that time, I qualified for command of  
18 destroyers.

19 Following that, I went to graduate school at Webb  
20 for three years. Immediately after graduate school, I went  
21 to the naval school of diving and salvage, where I was  
22 trained in, obviously, diving and salvage. We'd go short  
23 tour at Long Beach Naval Shipyard in the ship repair  
24 business.

25 During that time, I was borrowed for a salvage

1 job in Vietnam. Following that, I went to a unit that was  
2 doing salvage in Vietnam and other places in the Pacific.

3           Following that tour, I spent five tours in the  
4 Supervisor of Salvage Office in the Navy in Washington.  
5 And following that, for four years, I was Salvage Officer  
6 for the Pacific Fleet. And following two years back at  
7 Long Beach Naval Shipyard, I retired in 1979.

8           Q     When you say that you were Fleet Salvage Officer  
9 for the U.S. Pacific Fleet, what does that mean?

10          A     It means that I was responsible for the fleet  
11 readiness as far as salvage operations, insuring that we  
12 were equipped and prepared, and I personally went to the  
13 scene and took charge of salvage operations.

14          Q     Now, since -- once you retired, would you tell  
15 the jury about your career after retirement from the Navy?

16          A     When I retired, I went to work as a marine  
17 manager for an offshore drilling company in the southeast.  
18 We were operating twelve rigs in the Gulf of Mexico. I was  
19 responsible for all the marine aspects of that, including  
20 moving the rigs.

21                 Ten days after I got there, we lost a drill  
22 tender, and they realized they had just hired somebody who  
23 knew something about salvage, so I took charge of that  
24 operation.

25          Q     What's a drill tender?

1           A     Oh, it's a type of drilling rig in which a  
2 floating platform is used for the support of the drilling  
3 platform. And this thing was moored along side of the  
4 platform.

5                     And then I joined a consulting group as  
6 president. We were doing salvage and -- same types of  
7 things I'm doing now. I was with them for about two years,  
8 and then I became senior vice president and general manager  
9 of Divine Salvage down in Portland. When I left them, I  
10 set up my own operation, and have been doing this since  
11 1953.

12           Q     What type of salvaging operations have you been  
13 involved in? Can you give the jury an idea?

14           A     Oh, just about everything possible. I've done  
15 sinkings, strandings, vessels ranging from small craft,  
16 barges, tugs, cargo ships. Maybe half a dozen tankers.  
17 Ships up to 250,000 tons dead weight, both a tanker of that  
18 size and a bulk carrier of that size.

19                     I've been oh, just about everything you can be on  
20 one of those operations from salvage engineer from salvage  
21 master.

22           Q     What is a salvage master or salvage engineer?

23           A     The salvage master is essentially the person  
24 that's in charge of the salvage operation. The salvage  
25 engineer does the engineering and calculations associated

1 with the operation.

2 Q Have you been involved in groundings in rock?

3 A Yes, in the last -- oh, ten, twelve years, I've  
4 been involved in at least thirty casualties that I can  
5 recall. And roughly half of those have been either on rock  
6 or coral, which have very similar characteristics.

7 Q Have you -- can you give the jury an idea of  
8 where in the world you worked?

9 A I've worked on all seven continents, actually.  
10 I've done a lot of work in the Pacific, in the South  
11 Pacific. I've looked at a lot of casualties up here in  
12 Alaska, for one reason or another. I've worked on both  
13 coasts of the United States, in the Persian Gulf and South  
14 America, and was even on the casualty in Antarctica last  
15 year.

16 Q Have you worked in military areas?

17 A Oh, yes. I got my -- my basic training in  
18 Vietnam in doing salvage in the rivers along the coast of  
19 Vietnam, where we had all sorts of conditions, ranging from  
20 rock to mud, groundings, sinkings, comeback casualties,  
21 fires.

22 Q Would you like a glass of water?

23 A Please.

24 (Pause)

25 Q Now, would you give the jury an idea of how many

1 -- let's talk just about tanker casualties that you've been  
2 to and worked with.

3 A I've done five or six tanker casualties. The  
4 only one -- and I've done those around the United States  
5 and abroad, the Persian Gulf, Gulf of Mexico, Hawaii. One  
6 in Alaska, and it was a tanker striking a rock, was at  
7 Glacier Bay, out in Cook Inlet in 1987, which hit a rock  
8 and then floated off on the tides you have in Cook Inlet  
9 before I got there, but we did emergency discharge of the  
10 ship, and --

11 Q Now, have you done any writing in the area of  
12 casualties, salvage?

13 A Yes, I've done quite a bit of writing in the  
14 area. I've written roughly ten articles that have been  
15 published in the United States and Great Britain on -- in  
16 the professional press -- on casualties and salvage. I've  
17 done about roughly the same number in other areas. One of  
18 these articles was an article on essentially what to do  
19 after the ship is aground and before the salvos arrive.

20 I've also, for the last two years, been the  
21 technical director of a project to rewrite the U.S. Navy  
22 Salvage Manual, which is a six-volume set of how to books  
23 on salvage. It's about half done. We've done the volume  
24 on strandings and the one on sinkings.

25 Q Have you done any other work for the U.S. Navy,

1 as far as publications?

2 A Yes. I'm involved in the publication of a  
3 Salvage Engineer's Handbook. I've worked on the U.S. Navy,  
4 and contributed to the U.S. Navy diving -- sorry, damage  
5 control manual. The Salvager's Handbook. And I have  
6 written some directives for them on how salvage operations  
7 should be handled and managed.

8 Q How about any group memberships?

9 A I'm a member of the Society of Naval Architects  
10 and Marine Engineers; the American Society of Naval  
11 Engineers; the Nautical Institute, which is a British  
12 organization; the Society of Underwater Technology, which  
13 is also a British Organization; and the Marine Technology  
14 Society, of which I'm the chairman of a group of  
15 professional committees.

16 Q Have you been asked to testify in the past?

17 A Yes, I have. I've testified in -- oh, Alaska,  
18 Washington, Texas, California, Louisiana.

19 Q Can you give the jury an idea of what type of  
20 cases those have been?

21 A About half of them have been salvage and  
22 salvage-related cases, one involving an incident in Dutch  
23 Harbor, in which a processor broke loose from her moorings,  
24 and was rendered salvage assistance by two fishing boats.

25 Another where a ship grounded in Kiskah (PH) and



1 was rendered some salvage assistance, again by fishing  
2 boats.

3 Oh, two drill rigs that were casualties. The  
4 remainder were diving cases.

5 Q Now, when were you asked to provide your services  
6 in this matter?

7 A In August of this year -- August of 1989, last  
8 year.

9 Q And did you enter into a contract with the state  
10 of Alaska for your services?

11 A Yes, I did.

12 Q Would you explain that to the jury, what that  
13 contract entailed?

14 A Well, it was a contract to do as I said earlier,  
15 to look at the documentation and material relative to this,  
16 and to use my expertise in evaluating the casualty that  
17 occurred, and the action that was taken after the casualty.

18 Q And what was your rate per hour?

19 A My rate per hour is \$90.00 and in circumstances  
20 involving actual testimony or being on burning ships or  
21 casualty, it has a 25 percent premium on that.

22 Q What information did you evaluate? Did you  
23 receive any information in this matter?

24 A I received a stack of paper that was somewhat  
25 over two feet high in this matter.

1 Q And did you review that?

2 A Yes, I did.

3 Q Would you tell the jury in particular, were there  
4 any areas that you, in the paperwork, that you paid  
5 particular attention to?

6 A If I may refer to my notes so I don't miss  
7 anything. I looked at all the NTSB testimony and the  
8 exhibits that went along with that. The interviews by the  
9 Alaska State Troopers. The Grand Jury testimony. The  
10 characteristics of the ship, the bell log, the maneuvering  
11 characteristics, chart -- course recorder.

12 I looked at the salvage documents, loading and  
13 damage data, and transcripts of taped conversations between  
14 the Exxon Valdez and the Coast Guard Vessel Traffic  
15 System. And I also used a -- I did -- I did \_\_\_\_\_ the  
16 analysis of the tape, course recorder tape, from these  
17 people at King's Point. And I used a lot of reference  
18 material from my own library.

19 Q Did you have any conversations with a gentleman  
20 by the name of Mr. Leitz?

21 A Yes, I did. I had a telephone conversation with  
22 Mick Leitz, in which we discussed the salvage operation.

23 Q Who is he?

24 A He's a salvage master that lives in Portland and  
25 was the salvage master during the Exxon Valdez refloating.

1 Q And do you know him personally?

2 A Yes, I do.

3 Q And what did you discuss with him?

4 A Again, I'll refer to my notes to be --

5 (Pause)

6 We discussed the conditions that he found on  
7 board, and what he did on board the vessel, and the salvage  
8 -- generally, what was done during the salvage operation on  
9 the vessel.

10 Q Now, did you end up going and visiting the Exxon  
11 Valdez?

12 A Yes, I did. I visited the ship on 7 September.

13 Q And why did you go there?

14 A I was asked to go there by your office to look at  
15 the -- look at the damage, and to familiarize myself with  
16 it, and see if I could add to the evaluation of the damage.

17 Q And after reviewing that damage, and using your  
18 own experience, do you have any opinions about how that  
19 damage occurred?

20 A Yes, I do.

21 Q Could you explain that for the jury?

22 A The damage was typical of the damage one sees on  
23 ships that lie aground on rock in that there was plating.  
24 It was upset -- and by upset, I mean dented and torn, badly  
25 scraped from the stem of the ship, the \_\_\_\_\_ most

1 part, to just \_\_\_\_\_ to the pump room bulkhead, well --  
2 well after the ship.

3 Q Let me -- if you would, I'll hold up the model  
4 here. Maybe you can indicate to the jury --

5 (Pause)

6 A The damage started in this area of the ship on  
7 the starboard side, went mostly along the bottom and  
8 aligned at curves just about 5 degrees from straight back  
9 and extended back to -- oh, right about in here. That was  
10 the last -- last markings.

11 It varied throughout in intensity. Some of it  
12 was quite bad; there were holes. Two cases of a rock still  
13 in holes. In the mid-ship's area here, I just sent it  
14 right around bulkhead 23. The ship's structure just simply  
15 no longer existed. The ship's plating was no longer there,  
16 and there were large holes.

17 The longitudinal members, structural members,  
18 were twisted, oh, as much as 90 degrees.

19 Q Now, before you -- what is a longitudinal?

20 A It's a structural member that runs the length of  
21 the ship, and it's one of the primary structural members in  
22 the ship.

23 Q Where would it be running on the bottom of the  
24 vessel?

25 A Oh, they run very relatively close spacing, all

1 along the bottom of the vessel, inside the plating.

2           The damage in that area, because of the way the  
3 hull was set up, indicated that the hull was crushed, and  
4 that the ship had sat down very hard on that area, and  
5 it's --

6           Q     And that was in the area of where?

7           A     That was in the midship's area around the  
8 bulkhead 23, maybe a hundred feet on either side of it,  
9 maybe -- eighty to a hundred feet on either side of it, I'd  
10 say.

11          Q     Can you give the jury an idea -- do you have an  
12 opinion as to how the vessel was -- how that came to be  
13 caused?

14          A     Yes. I think the vessel came over a rocky area,  
15 passed completely over it, continued for a short distance,  
16 and then came to rest, grounded on an area along the  
17 starboard side, and extending over just to about amidships.

18          Q     Did you -- why do you say that it passed  
19 completely over the first rock?

20          A     Because the damage extended well past the area  
21 where it was hard grounded, and in fact, ended in the --  
22 near the stern of the ship, near the pump room.

23          Q     And can -- do you have an estimate as to how long  
24 that process would have taken?

25          A     It's impossible to say exactly how long that

1 process would take, because one of the things that happens  
2 as a ship grounds is the speed decays, the speed slows  
3 down. And that process is impossible to predict, because  
4 there are other things happening at the same time that  
5 affect it.

6 But to move that far, it would take just about  
7 two minutes for the ship to move that far under the average  
8 speed it would have had to be moving at.

9 Q Now, do you see any evidence of -- well, before  
10 we get to that, I'd like to talk about something else.

11 What does it mean to ground a vessel?

12 A Can I draw a picture on that?

13 Q Yes.

14 A Okay.

15 (Pause)

16 When the ship is afloat and in the water, it's  
17 completely supported by the force of buoyancy, and the  
18 force of buoyancy, which is -- comes from the surrounding  
19 water, is exactly equal to the weight of the vessel.

20 When a ship grounds, if it grounds high and dry,  
21 as sometimes happens so that it's completely out of the  
22 water, the -- and it's sitting completely up on the land --  
23 the land supports the vessel, and it completely supports  
24 the weight of the vessel.

25 When a ship grounds as is the more normal case so

1 that it is partially supported by the water and partially  
2 supported by the land --

3 (Pause)

4 -- that being the land that the vessel is resting  
5 on, it's partially supported by the buoyancy -- it's own  
6 buoyancy and by the -- and by the ground. But the  
7 combination of the two, the buoyancy and what we call the  
8 ground reaction is exactly equal -- again, exactly equal --  
9 to the weight of the vessel.

10 Now, the weight of the vessel -- the vessel in  
11 this condition still has a water line, because it's still  
12 in the water. But this water line is below the water line  
13 that the ship would normally float at, which would be up  
14 here somewhere. The area between those two water lines --  
15 or the volume between those two water lines, actually --  
16 represents the lost buoyancy of the vessel, and is exactly  
17 equal to the ground reaction of the vessel.

18 Q Now, what, again, is the ground reaction?

19 A The ground reaction is the amount of the weight  
20 of the vessel that is supported by the ground, and it's the  
21 amount of buoyancy that the vessel has lost in grounding.

22 Q When a -- what causes a vessel to stop?

23 MR. CHALOS: Objection, Your Honor. You can turn  
24 the engine off. Any number of things can cause a vessel to  
25 stop.

1 THE COURT: That may be true, but we'll let the  
2 witness answer that question. Objection overruled.

3 THE WITNESS: Well, I'm going to answer that  
4 question where a vessel is grounding. When a vessel  
5 grounds, several things happen to it. It's bodily lifted,  
6 and it stops. The stopping is generally caused by the  
7 friction of the vessel on the bottom.

8 BY MR. COLE: (Resuming)

9 Q And what has to be overcome before the vessel  
10 comes to a stop after a grounding, after an initial contact  
11 with the bottom?

12 A Well, the momentum of the vessel has to go from  
13 whatever it is, which depends on the size of the vessel and  
14 the speed at which it's travelling to zero.

15 Q Can you give the jury an idea of how the type of  
16 bottom that a ship grounds on affects the damage that is  
17 done?

18 A It's -- the damage that's done is a direct result  
19 of the hardness of the bottom, and what the bottom is  
20 composed of. If a ship grounds in soft mud, it will  
21 generally just mush into it, and since the mud is much  
22 softer than the seal of the vessel, there's usually very  
23 little damage to the vessel.

24 If it grounds on sand, depending on the  
25 consistency of the sand, there's very little damage to the



1 vessel. There's sometimes, if it's very hard sand, there  
2 will be some upsetting or indenting of a plate, seldom  
3 enough to tear it, unless the -- unless there are rock or  
4 coral formations in the sand.

5 On coral, it depends on the age of the coral.  
6 young, soft, living coral is not as hard as old, hard  
7 coral. Old hard coral is very much like rock. Rock is  
8 really the worst thing to ground on from the standpoint of  
9 the damage to the vessel, because it's more likely to  
10 severely indent or tear the bottom.

11 I don't believe I've ever seen the bottom of a  
12 vessel torn unless it grounded on either rock or coral.

13 Q What about after the grounding? What's the  
14 possibility of immediately refloating a vessel, depending  
15 upon what a vessel grounds on?

16 A Well, that depends on a number of conditions:  
17 how hard the vessel is aground, what the vessel is aground  
18 on, and how it's aground, how it lies. It would be very  
19 difficult to quantify. There's a possibility of refloating  
20 without -- it's impossible to quantify it without knowing  
21 more about the condition of the grounding.

22 Oftimes a ship in -- oh, down in the Mississippi,  
23 or in an area like that, where there's a soft bottom, is  
24 able to just nose into a mud bank and back right off again.

25 Q Do the actions that you take as a salvage master,

1 or skipper, depending on the type of bottom that a vessel  
2 has grounded?

3 A It depends on -- yes. It varies with the type of  
4 bottom and the type of ship.

5 Q Now, I would like to talk a bit about what the  
6 procedures should be of a master after a ship has been  
7 grounded. What should a captain do?

8 MR. CHALOS: Your Honor, I object. No  
9 foundation. Aground in what type of bottom? How  
10 grounded? Is it grounded by the bow, on th stern? There  
11 are so many factors that have to be laid out before --

12 THE COURT: Mr. Cole?

13 MR. COLE: Judge, he's just being asked his  
14 general recommendations. I think there are certain things  
15 that you should always do, and I'm just exploring that  
16 area.

17 MR. CHALOS: And I would further add, Your Honor,  
18 that Mr. Milwee, I believe, is an expert on salvage  
19 operations, but I don't think he's been qualified as an  
20 expert captain. I don't think that foundation has been  
21 laid, either.

22 THE COURT: Lay a little bit better foundation  
23 for this type of answer on what a captain should do.

24 BY MR. COLE: (Resuming)

25 Q Well, as a salvage master, are you -- are there

1 certain things that need to be done in order to allow you  
2 to do your job as a salvage master?

3 A Yes. One of the first things you must do in any  
4 grounding is to determine the condition of the grounding,  
5 and determination of condition of the grounding should be  
6 made before any salvage attempt is made.

7 Q And how does one do that?

8 A Well, the first thing to do is take soundings all  
9 around the vessel, to determine how the vessel lies on the  
10 ground, how much of it is actually resting on the ground,  
11 and how hard she is resting on the ground. From these  
12 soundings, it's a very simple calculation to determine the  
13 ground reaction and the amount of weight of the vessel that  
14 is supported by the ground.

15 Q Is it important to know the -- for instance, the  
16 damage done to the vessel?

17 A Oh, yes. It's very important to know the damage  
18 done by the vessel.

19 Q Why?

20 A Because to refloat a vessel with extensive damage  
21 is extremely dangerous. It may result in a loss of the  
22 vessel.

23 Q What does -- what do you use to ascertain the  
24 damage?

25 A When it's possible, an inspection of the damaged

1 area should be made. If it's not possible, because of  
2 cargo or material in the ship, soundings should be taken --  
3 that's essentially measurements of the depth of water  
4 inside the various hulls to determine if there -- if there  
5 is leakage coming in through the outside, and how bad it  
6 is.

7 In the case of a tanker, one of the best  
8 indications of damage is, is there a loss of cargo.

9 Q What needs to be done as far as the crew?

10 MR. CHALOS: Objection, Your Honor. There's no  
11 foundation that this gentleman has expertise as to what a  
12 captain would do on the ship with his crew. Unless he's  
13 asking what should be done with the crew after he comes on  
14 board when the vessel is being salvaged.

15 THE COURT: Mr. Cole?

16 MR. COLE: Your Honor, I think he can testified  
17 as the salvage master as to what he regards as the  
18 important things he should take into consideration.

19 THE COURT: I don't think he's been qualified in  
20 that area, Mr. Cole.

21 MR. COLE: Well --

22 THE COURT: The objection is sustained.

23 BY MR. COLE: (Resuming)

24 Q Well, when you come aboard, let's say that you  
25 got there a very short time after a grounding, and you were

1 -- what would be your first priority?

2           A     I've been in exactly that -- that circumstance,  
3 where I have come aboard groundings immediately, and  
4 there's been no one else around other than the crew. My  
5 first priority is to insure that the ship is secure, and  
6 that the crew is secure. And by secure, I mean to  
7 determine the extent of the grounding and I use that crew  
8 -- working through the master -- of course, to assist me in  
9 determining the extent of the grounding, and also make sure  
10 that if the situation worsens for some reason, that we've  
11 got a way out of there, that the proper safety measures  
12 have been taken.

13           Q     When you say secure the crew, then, what do you  
14 mean?

15           A     Essentially, ensure that measures have been taken  
16 from their safety, that boats are rigged, everybody's got  
17 the proper survival gear, and it is -- they're ready to use  
18 it, and that fire protection methods, measures, have been  
19 taken. And usually that measures -- measures have been  
20 taken to prevent any further deterioration of the ship, if  
21 the ship is in an extremely hazardous condition.

22           Q     What about communicating with authorities. Is  
23 that something that you would do?

24           A     It should have been done by the master  
25 immediately upon grounding, but I would certainly

1 communicate with whoever I'm representing on the case.

2 Q When you come on a vessel immediately after a  
3 grounding, what type of options are open to you?

4 MR. CHALOS: Objection, Your Honor. I think the  
5 testimony is that that happened once. We don't know how  
6 quickly he came on after the grounding, but I think Mr.  
7 Cole is asking generally what's available when he comes on  
8 board in a grounding. I think the testimony is one  
9 specific incident, and whatever options were available  
10 then, certainly he can testify to. But not generally.

11 THE COURT: This witness can give his opinion in  
12 general. Objection overruled.

13 THE WITNESS: Would you repeat the question,  
14 please?

15 BY MR. COLE: (Resuming)

16 Q When you come aboard tanker vessels -- and let's  
17 say, for instance, you were on it immediately after the  
18 grounding -- what options do you have available, as far as  
19 action that can be taken?

20 A Again, the first -- the first necessary action is  
21 to determine the condition of the grounding by taking  
22 soundings, perhaps getting the sounding float out, getting  
23 -- wants to get a boom out, also around the vessel and  
24 contain the -- any cargo that may have spilled. And in  
25 doing that, you use whatever resources are available.

1           If the crew is the only resource available, you  
2 use them. If you have a salvage crew, or crew that you  
3 bring in from ashore, you use them, too.

4           Q     Now, do you -- from your experience has it been  
5 that you say, for instance, check the hulls, broken hulls,  
6 the engine room, the pump room, to make sure that  
7 they're --

8           A     That's right. That's right. You check all the  
9 spaces on the ship, not just the spaces where you know that  
10 there's damage indicated.

11          Q     After evaluating the evidence that you have in  
12 front of you, what are your options then, at that time?

13          A     When I come aboard the vessel, and I'll start to  
14 -- make an evaluation, my first -- my choices are, after I  
15 determine how I lie on the ground and what my conditions  
16 are, I just start to develop a salvage plan, and to  
17 determine if I'm going to refloat the vessel.

18                 Probably the first thing to get out of the way is  
19 to determine if it's practical, or possible, or reasonable  
20 to make an initial refloating attempt using the ship's  
21 engines and whatever tugs I may have available. Or if I  
22 should just put that option aside and wait for it to rock  
23 and lighten the vessel, or bring out heavier gear to drag  
24 the vessel out, back afloat.

25          Q     What type of risks are associated with

1 immediately trying to refloat the vessel?

2 A If the vessel is badly damaged, there is risk  
3 that the vessel may sink, that you may put the crew in the  
4 water, that you may have additional pollution, or that you  
5 may strike something that you don't know about when you --  
6 as you refloat. It's absolutely vital to determine,  
7 determine the conditions before you do anything, and to  
8 have knowledge of what you're about to do before you do it.

9 Q What would be the risk of not attempting to  
10 refloat a vessel after a grounding?

11 MR. CHALOS: Your Honor, I object. \_\_\_\_\_  
12 foundation has been laid. Again, what circumstances are we  
13 talking about?

14 THE COURT: Objection overruled. This witness  
15 may give a dissertation in general on this subject. He's  
16 been qualified.

17 THE WITNESS: It depends on the condition of the  
18 grounding of the vessel. If the vessel is grounded -- oh,  
19 on a sandy beach, sandy, moderately sloping beach in a  
20 surf, it's an extremely dangerous situation to the vessel,  
21 and one in which a refloating attempt is often justified  
22 immediately, without some of the knowledge that you would  
23 have otherwise --

24 BY MR. COLE: (Resuming)

25 Q What makes that situation dangerous?



1           A     If the ship is -- lies in directly facing the  
2 surf, it's a very good chance that she is going to rotate  
3 so that she's broadside to the beach., and on a sandy  
4 beach, the surf coming in will generate very high currents  
5 around the ends of the vessel that will scour the sand out  
6 from the vessel, and around the ends of the vessel, so that  
7 she's supported only in the middle. And a vessel will  
8 break very quickly like this.

9                     The Arco Alaskan, out on St. Paul Island in '87  
10 is an example of exactly this type of -- this type of  
11 casualty. She grounded on a Friday and broke on Sunday  
12 night, and she was broadside to the beach:

13                    A ship like that may -- or on that type of beach,  
14 in the surf, may pound very hard, and do herself additional  
15 damage, hull herself even more. A ship aground on rock is  
16 better left alone, until other -- other measures can be  
17 taken, because she'll ride heavy on that rock and stay  
18 there, but if you try to move her in an initial refloating  
19 attempt, there's a possibility of doing additional damage  
20 to the ship. Coral, the same as rock.

21           Q     Now, when you reviewed the evidence in this  
22 matter, do you have an opinion of what Captain Hazelwood  
23 was attempting to do with the throttle and the rudder after  
24 the Exxon Valdez was grounded on March 24, 1989?

25           A     Yes. I believe he was attempting to refloat the

1 vessel.

2 Q Why do you say that?

3 A Because he used a full bell and considerable  
4 rudder. He essentially was doing -- seemed --

5 Q What did you say? A full bell?

6 A A full ahead. A full ahead on the engines at his  
7 maneuvering speed. He was using a lot of force to -- to  
8 disturb the vessel, which is exactly what you do when you  
9 try to refloat a vessel, is you try to disturb its  
10 position, so that it will move. He did this on the rising  
11 tide, which is exactly the way that you would do to refloat  
12 a vessel.

13 Q Why do you -- why do you say that?

14 A Because, as the tide rises, this water line comes  
15 up closer to the original floating water line of the ship,  
16 and the ground reaction is reduced. The ship rests more  
17 easily on the bottom. And Captain Hazelwood said that he  
18 was attempting to refloat the ship.

19 Q Did you rely on statements that you heard from  
20 Captain Hazelwood?

21 A Yes, I did.

22 Q Why would his actions -- do you have an opinion  
23 on whether or not his actions were inconsistent with  
24 attempting to keep the vessel on the reef?

25 A Yes, I do. I do not think they were consistent

1 with attempting to keep the vessel on the reef because it  
2 was too much force he used, and -- but most telling to me  
3 is that he stopped doing this at 17 minutes before the  
4 water was at the highest, when the ship was resting most  
5 likely on the ground.

6 If it had been necessary to do that, and to use  
7 that much force to keep the ship on the reef, he would have  
8 had to continue that during the high water, and well after  
9 the high water, until the ship was resting as it was an  
10 hour or two hours before.

11 Q Maybe you can explain that concept by referring  
12 to Plaintiff's Exhibits Number 123 and 124.

13 (Pause)

14 A This is a representation of the tide, and -- as  
15 it rises, as it rose and fell on the night of -- I think  
16 I've got the right one here -- (inaudible) -- this would be  
17 it. March 23rd.

18 Q Is this the evening of March 23rd, of the --

19 A Well, this is early in the morning of March  
20 24th. It was -- high water was at 1:57, just before 2:00  
21 o'clock here. And it -- it was in the period from the time  
22 of the -- some time after the stranding until 1:40 that the  
23 maximum force was used to, as I believe, to free the  
24 vessel.

25 Coming up on about 17 minutes before high water,

1 the water is continuing to rise, and the tide may stand at  
2 its high water for a period of time, and at -- during that  
3 time, the vessel is resting very lightly on the ground --  
4 well, as lightly as it's going to rest.

5           If it's necessary to use a lot of force to keep  
6 the vessel on the ground, that's when you have to do it.  
7 Again, the vessel -- the tide began to drop after the high  
8 water, and the same conditions that existed in that time  
9 before high water exists after high water. As the tide  
10 begins to drop, the vessel rests more heavily on the  
11 ground, but it goes through that period where it's as light  
12 as it's going to be at the time, and where, if you have to  
13 use a lot of force to keep it there, you have to do it the  
14 whole time, not just part of it. And certainly, you don't  
15 stop just before it's lightest.

16           Q     You've indicated the use of excessive disturbing  
17 forces. How is the use of the rudder inconsistent with  
18 attempting to stay on the reef in this matter?

19           A     Well, the rudder swings the ship, and it disturbs  
20 the condition under which the ship lies. If you're  
21 attempting to stay on a reef, if you don't disturb it, you  
22 make the ship heavy, and you don't move it. You just don't  
23 do anything that's going to disturb the conditions under  
24 that ship.

25           Q     Can you describe for the jury what action is

1 being done from 1:00 -- from 12:45 to 1:40? There's a  
2 pointer there, if you want to point to that.

3 (Pause)

4 A This --

5 Q You may have to stand just a little bit to the  
6 side.

7 A Yeah. This area in here indicates changes in  
8 heading of the ship in both directions. Obviously, in --  
9 as it comes back and forth, and it indicates to me that the  
10 rudder is being used in conjunction with the engines to  
11 swing the ship back and forth, and to disturb it as it lies  
12 on the bottom.

13 Q Now, is that consistent with going ahead, or  
14 trying to get something off the reef, or trying to stay on?

15 A It's consistent with trying to get it off. It's  
16 -- the -- if the ship were -- if there were conditions  
17 existing that made it necessary to keep the ship on the  
18 reef, it would generally just drop off in one direction,  
19 and there would be a response to it, to hold the ship as  
20 steady as possible, not -- not to wiggle it.

21 Q If you had rock and you had the tanker, and you  
22 were worried about your tanker coming off that rock, how  
23 would you turn your rudder, and how would you use your  
24 throttle to stay on that reef?

25 MR. CHALOS: Objection, Your Honor. Does that

1 purported to be the grounded position of this vessel, or is  
2 Mr. Cole just asking about that example --

3 THE COURT: It's a general question, using that  
4 example.

5 MR. CHALOS: Then I object to the foundation,  
6 Your Honor -- and relevance, really.

7 THE COURT: Can you understand what that picture  
8 is?

9 THE WITNESS: Yes, sir.

10 THE COURT: All right. If you can answer the  
11 question, go ahead. Objection overruled.

12 THE WITNESS: The rock is holding -- holding the  
13 ship at some point, and the ship may be able to rotate.  
14 Now, would you repeat the question, because I got -- I'm  
15 lost on this.

16 BY MR. COLE: (Resuming)

17 Q If you felt that there was a chance, or you had a  
18 problem that would -- that was going to cause your ship to  
19 come off that rock, how would you take that action to  
20 prevent it?

21 A You would see what that problem was doing to  
22 you. If you had a current that was -- that was acting to  
23 rotate you away from that, you would -- you would use just  
24 as little engine and rudder as necessary to hold the ship  
25 in position.

1 Q So it's literally a turning into?

2 A Well, in this case, you would turn the head to  
3 starboard, just \_\_\_\_\_ the stern to port, and keep it  
4 -- keep it hard up on the rock.

5 (Pause)

6 Q How would you use your anchor, if you were  
7 concerned about keeping a vessel on the reef?

8 MR. CHALOS: Objection, Your Honor. No  
9 foundation.

10 THE COURT: With the same qualifications as  
11 before \_\_\_\_\_.

12 THE WITNESS: You would put your anchor in the  
13 water with a -- the scope would change, depending on the  
14 depth that your bow and the type of bottom.

15 BY MR. COLE: (Resuming)

16 Q What about using the rudder commands to change --  
17 to cause your ship to move back and forth to determine what  
18 kind of bottom you have underneath you? Is that a good way  
19 to use your rudder?

20 A It certainly is not, because your -- and  
21 particularly if you're on rock, because you're not going to  
22 do anything but just wiggle that thing and grind it back  
23 and forth on the bottom.

24 Q If you are sitting on a rock, and you're going  
25 back and forth, what is happening to the bottom of the

1 vessel?

2           A     Right. You're grinding the two surfaces  
3 together, just like -- well, if you take an orange and  
4 squeeze it, or you take -- take your foot and just rub it  
5 back and forth on the deck. You're grinding the ship on  
6 that rock. And you're going to stand a very good chance of  
7 doing additional damage to it.

8           Q     And what about if you are unaware of other areas  
9 that have rock while you're going back and forth like that?

10          A     You're likely to bump into one. You certainly  
11 shouldn't do it. You shouldn't attempt to move that ship  
12 in any way until you have a knowledge of the water that  
13 lies immediately around the ship, the way the ship lies on  
14 the ground, and the water that lies in the direction in  
15 which you intend to move it.

16          Q     After a grounding, what is the general rule that  
17 you should abide by before taking any action?

18          A     Find out what you got.

19          Q     And now, Mr. Milwee, you've given us your opinion  
20 on what you believe Captain Hazelwood was attempting to do  
21 after the Exxon Valdez was grounded. I'm reading you the  
22 definition of recklessly in the state of Alaska.

23                     "A person acts recklessly with respect to a  
24 result or to a circumstance described by a provision of law  
25 that finding an offense when that person is aware of, and



1 consciously disregards a substantial and unjustifiable risk  
2 that the result will occur, or that the circumstance  
3 exists. The risk must be of such a nature and degree that  
4 disregard of it constitutes a gross deviation from the  
5 standard of conduct that a reasonable person would observe  
6 in the situation."

7 Do you have an opinion on whether or not Captain  
8 Hazelwood acted recklessly in attempting to remove that  
9 vessel from the reef on March 23, 1989?

10 MR. CHALOS: I object, Your Honor. This  
11 gentleman has not been qualified as a tanker master, or  
12 having knowledge of what a tanker master should or should  
13 not do. On that basis, he can't give an opinion as to  
14 whether Captain Hazelwood acted reckless. All he can give  
15 an opinion on is what he saw from a salvage standpoint.

16 MR. COLE: Your Honor, he is a salvage captain.  
17 He evaluates tanker captain's actions, and that's what he  
18 makes decisions on is salvage plans. He should be able to  
19 give his opinion on that action.

20 MR. CHALOS: I don't think there's been any  
21 testimony, Your Honor, that this gentleman evaluates tanker  
22 captain's actions.

23 THE COURT: Objection overruled. The witness may  
24 give his opinion.

25 (TAPE CHANGED TO C-3649)

1 THE WITNESS: Yes, I have such an opinion.

2 BY MR. COLE: (Resuming)

3 Q Will you tell the jury what that opinion is?

4 A I think it was reckless, because Captain  
5 Hazelwood did not have enough knowledge of the situation to  
6 make the decision to make a refloating, immediate  
7 refloating attempt. He knew that he had a badly damaged  
8 ship. He had enough information to know that he should  
9 stay there, but he didn't have enough information to know  
10 that he should -- he should refloat.

11 Q When you say he had enough information to say  
12 that he should stay there, what do you mean?

13 A He probably -- drop of the level in the cargo  
14 tanks that was reported to him by his Chief Mate. He had  
15 -- he knew that he had severe hull damage. He knew from  
16 his knowledge of the bottom, knowledge that anyone going  
17 into a certain area had, that he was aground on rock.

18 That was information that he did not know how he  
19 was aground, he didn't know where he was aground. He just  
20 simply did not have enough information to make that  
21 immediate refloating attempt.

22 MR. CHALOS: Your Honor, I move to strike. This  
23 gentleman can't tell us what Captain Hazelwood knew as to  
24 how he was aground, or where he was aground. I don't think  
25 there's been any testimony to that effect.

1 THE COURT: Objection overruled.

2 BY MR. COLE: (Resuming)

3 Q And when you say he didn't have enough  
4 information to take action to refloat the vessel, what do  
5 you mean?

6 A He had not taking soundings around the vessel.  
7 He had not made any attempt to determine how the vessel lay  
8 upon the ground. It's just basic information that's needed  
9 for attempting to try to refloat a vessel.

10 Q If you refloat a vessel, how certain should you  
11 be, before you attempt to do it, that your vessel will  
12 float?

13 A Dead certain.

14 Q What do you risk by not being certain?

15 A Loss of the vessel, loss of your crew, additional  
16 pollution.

17 MR. COLE: I have nothing further.

18 THE COURT: We'll take our break.

19 Don't discuss the matter among yourselves or with  
20 anybody else and do not form or express any opinions.

21 THE CLERK: Please rise. This court stands in  
22 recess subject to call.

23 (Whereupon, the jury left the hearing room.)

24 A recess was taken from 11:36 a.m. to 11:47 a.m.)

25 THE COURT: You may be seated.

1 I understand there's a discovery request?

2 MR. CHALOS: Yes, Your Honor. We received, as  
3 part of the discovery, a letter from Mr. Milwee to Sam  
4 Adams, dated February 12, 1990. May I approach the bench,  
5 Your Honor, and give a copy to Your Honor?

6 THE COURT: Yes, sir.

7 (Pause)

8 MR. CHALOS: As you'll notice, Your Honor, Mr.  
9 Milwee renders a pretty extensive opinion in that  
10 particular letter, but it makes reference to a letter, or a  
11 memorandum, that he received from Mr. Adams on February 2,  
12 1990.

13 We've asked for production of that particular  
14 letter so we can determine what it is that he was asked to  
15 do, and what information he was given on which he based his  
16 conclusions. The State --

17 THE COURT: You want the memorandum.

18 MR. CHALOS: Yes, basically.

19 THE COURT: Let's hear why not.

20 MS. HENRY: Your Honor, the memorandum contains  
21 attorney work product and contains our view and our  
22 theories of the risk that Captain Hazelwood did in his  
23 conduct of this case. In addition to that, the memorandum  
24 contains a list of the information that we provided to Mr.  
25 Milwee, which the defense already knows. We already

1 provided that independently of this memorandum. And it  
2 also contains a list of the requests that we were making of  
3 Mr. Milwee to set forth in a report that he was to produce  
4 that our request of what he was to do has also been made  
5 known to the defense.

6 So the only other thing in my view in this  
7 memorandum, other than those two areas, is work product.  
8 If I can approach the bench, I'll provide it to the Court.

9 THE COURT: Please.

10 (Pause)

11 Give me just a minute to read it, please.

12 (Pause)

13 So the portion here that sets forth the view of  
14 Mr. Adams, Mr. Cole, retired tanker Captain Bob Beevers,  
15 Mary Ann Henry, and State Trooper Sergeant Jim Stogsdill,  
16 it's that portion of the letter that you object to as work  
17 product, setting forth what your opinions are to  
18 this \_\_\_\_\_?

19 MS. HENRY: Yes, Your Honor.

20 THE COURT: As far as the rest of the letter, you  
21 have no problems, correct?

22 MS. HENRY: Yes, Your -- I have no problems as to  
23 the rest of the letter. That's work product. It was just  
24 my view that we already provided most of that information  
25 in separate documents. So.

1 THE COURT: What is objectionable about setting  
2 forth your views to this memorandum to the witness? That  
3 doesn't seem to be any kind of surprise. I'm sure that  
4 it's consistent with the opening statement that's been made  
5 by Mr. Cole, and the tenor of the testimony so far.

6 What's so surprising about this, or something  
7 that you want to keep confidential that hasn't already been  
8 disclosed in opening statements and through examination of  
9 witnesses?

10 MS. HENRY: Your Honor, I don't believe our  
11 entire theory of the case and discussions that we had over  
12 the last eleven months about our theory of the case, which  
13 did evolve and change, is something that the defense has a  
14 right to know.

15 THE COURT: I disagree. I'll order production of  
16 the letter to Bill Milwee from Sam Adams, dated February 2,  
17 1990, subject: expert analysis, and you already have the  
18 February 12, 1990 letters. You can have that back.

19 Is this a copy of it, Ms. Henry?

20 MS. HENRY: That's a copy that can be provided.

21 THE COURT: Okay. Then this is okay if we give  
22 this one then? You don't need a --

23 MS. HENRY: Yes, that's fine.

24 THE COURT: Okay. That doesn't mean that what's  
25 contained in here is necessarily admissible before a jury.

1 This is just a discovery.

2 We'll take a recess and come back in about five,  
3 six minutes.

4 THE CLERK: Please rise. This court stands in  
5 recess subject to call.

6 (A recess was taken from 11:45 a.m. to 12:02  
7 p.m.)

8 (Whereupon, the jury enters the courtroom.)

9 THE COURT: Mr. Chalos?

10 CROSS EXAMINATION

11 BY MR. CHALOS:

12 Q Good morning, Mr. Milwee.

13 A Hello.

14 Q You're here under contract to the state, are you  
15 not?

16 A That's correct.

17 Q How much -- how much is your contract for?

18 A The maximum value of my contract is \$25,000.00.

19 Q Have you billed the State?

20 A I have.

21 Q How much have you billed them so far?

22 A I'm not -- I'm not dead sure. It's under  
23 \$5,000.00.

24 Q Do you expect to bill them more?

25 A Yes, I do.

1 Q Do you expect to bill them up to \$25,000.00?

2 A I doubt it.

3 Q What do you think you're going to bill them  
4 before this is over?

5 A I don't know exactly. I've been in Anchorage for  
6 ten, eleven days now, so it will be probably another nine,  
7 ten thousand dollars, at least.

8 Q Plus your expenses?

9 A Plus expenses.

10 Q Now, you're not a ship's master, are you?

11 A No, I am not.

12 Q You hold no licenses issued by the Coast Guard?

13 A No, I don't.

14 Q You don't have any engineering licenses issued by  
15 the Coast Guard?

16 A No, I don't.

17 Q You've never commanded a merchant ship, I take  
18 it?

19 A No, I have not.

20 Q Now, have you ever been on a ship that's gone  
21 along and all of a sudden it grounds?

22 A No, I have not.

23 Q You said that --

24 A That's not totally true. I have intentionally  
25 grounded a ship, but that was part of a salvage operation.



1 Q Why did you intentionally ground a ship?

2 A Because it was the safest thing to do with the  
3 ship at the time. We wanted to grind it -- grind it;  
4 ground it so that we could secure the ship and salvage it.

5 Q In other words, in that case, you wanted to make  
6 the ship more secure?

7 A That's correct.

8 Q And you ran it forward, I take it?

9 A That's correct.

10 Q Onto something?

11 A Onto a sand bar.

12 Q Now, you said you had been on one ship where you  
13 came on shortly after the grounding, is that correct?

14 A No, that's not correct. I have been on ships  
15 where I came aboard shortly after the grounding. I have  
16 been on several in that situation.

17 Q How quickly after the grounding was the quickest  
18 you've ever been on?

19 A Probably six or seven hours.

20 Q By then, all of the initial decisions by the  
21 master had been done, had they not?

22 A Usually.

23 Q And no doubt by then the vessel was secure in  
24 whatever fashion was secure at that time?

25 A Usually they required additional action to make

1 them totally secure.

2 Q Now, with respect to the Exxon Valdez, you didn't  
3 see the ship out at Bligh Reef. I take it?

4 A No, I didn't.

5 Q And you didn't see it at Naked Island?

6 A No, I didn't.

7 Q Just a little bit about your experience. You  
8 said you've been involved with tanker groundings before.  
9 How many of those tanker groundings involved a rock bottom?

10 A As I stated, the only one that I have been  
11 involved in that hit a rock was at Glacier Bay out at Cook  
12 Inlet.

13 Q All right. And by the time you got there, the  
14 vessel had already been refloated?

15 A The vessel was refloating.

16 Q How did they refloat the vessel in that case?  
17 Did they back up?

18 A No, it was tide rise.

19 Q The tide took it up, and refloated it?

20 A That's correct.

21 Q She was holed, wasn't she?

22 A Yes, she was.

23 Q And she didn't sink?

24 A She was holed in two tanks. She was not --

25 Q But she didn't sink?

1           A     She didn't sink. There was no way she was going  
2 to sink with the amount of damage that was done.

3           Q     Okay. Now, your work as a salvage master is  
4 based on accidents, isn't it?

5           A     Marine casualties, yes.

6           Q     An accident happens, a ship runs aground, you're  
7 called out?

8           A     That's right. When there's a casualty, I respond  
9 to it.

10          Q     Would you agree that groundings happen  
11 frequently?

12          A     It would depend on your definition of frequently,  
13 and the degree of the grounding. There are major  
14 groundings, and there are very minor groundings.

15          Q     They're part of the maritime life, are they not?

16          A     That's correct.

17          Q     Now, in that -- and that can happen no matter how  
18 prudent the master is, right?

19                   (Pause)

20          A     It's like any other kind of accident. There's  
21 usually a cause for it -- or there's always a cause for  
22 it. And it's very rare that a -- that there is not a  
23 grounding to -- or there is not a deviation from the norm  
24 when there's a casualty.

25          Q     But that's true, isn't it, of every accident.

1 There's some deviation from the norm that puts you into an  
2 accident situation?

3 A Oh, I'm not really qualified to talk about every  
4 accident.

5 Q Well, if you're acting normally, you would expect  
6 not to have an accident, wouldn't you? I mean, using the  
7 word "normally" as you use it?

8 A Oh, I suppose so. It's a matter of semantics,  
9 though.

10 Q You spoke about some of the writings that you've  
11 done over the years. You wrote an article that appeared in  
12 the U.S. Naval Institute proceedings for March of 1974?

13 A Yes, I did.

14 Q I'd like to talk generally about salvage  
15 operations, and specifically about your article. Let me  
16 approach you, if I may.

17 On the document that is Exhibit AH for  
18 identification, do you recognize that as a copy of your  
19 article?

20 A Yes, I do.

21 Q And you wrote that article, did you not?

22 A Yes, I did.

23 Q And have you read it recently?

24 A Oh, yes, I have.

25 Q Do you agree with the precepts that you set forth

1 in here?

2 A Just about completely.

3 Q Okay. Well, in the first paragraph you write --

4 MR. COLE: Objection. What is the purpose of  
5 reading this? Is it to refresh his recollection, to  
6 impeach --

7 MR. CHALOS: Your Honor, I want to know if he  
8 agrees with a specific opinion that he expressed in this  
9 letter -- or in this article. The title is, "The Ship  
10 Aground; the Do's and Don't."

11 MR. COLE: He can't just read it into the thing.  
12 That's improper.

13 THE COURT: That's hearsay, and the objection  
14 will be sustained, unless you can come up with something  
15 that -- some exception here. I'm finding a relevance  
16 problem here, too, if he just reads something into the  
17 record without us knowing what it is about.

18 BY MR. CHALOS: (Resuming)

19 Q Mr. Milwee, do you agree that, when a grounding  
20 occurs, any grounding, that there's a lot of confusion?

21 A Usually.

22 Q And that would be more so in a situation where  
23 you have a tanker the size of the Exxon Valdez, at night,  
24 at Bligh Reef. Would you expect a lot of confusion at that  
25 point?

1           A     I would expect no more confusion there than in  
2 the case of any other grounding.

3           Q     But you would expect to see some confusion, at  
4 least in the first five, ten minutes?

5           A     Yes.

6           Q     Now, do you agree with the proposition that when  
7 a vessel grounds, there's an instinctive reaction to get  
8 off?

9           A     Yes.

10          Q     And would you also agree with the proposition  
11 that the instinctive reaction is to back up?

12          A     No. It depends on how the ship grounds.

13          Q     Well let's say it grounds going forward, and  
14 comes to a stop.

15          A     Well, ships ground going forward in any number of  
16 ways. They may pass -- they may ground going directly into  
17 a shore. They may ground on a reef or a sand bar. Depends  
18 on how the ship grounds and no, I would not agree the  
19 instinctive reaction is to back up.

20          Q     Well, let me ask you this, then. Would you agree  
21 that the wrong thing to do in a grounding, initially, is to  
22 back up?

23          A     Again, it depends on the condition of the  
24 grounding and how the ship grounded, and what the master  
25 knows about the grounding.

1 Q Well, in this article, you say, "Perhaps the most  
2 common made by the commanding officer of a stranded ship is  
3 to attempt extraction by lightering ship and backing full on  
4 high tide."

5 Now, what do you mean by "lightering"?

6 A Lightening, not lightering.

7 Q I'm sorry.

8 A Making your ship lighter.

9 Q How do you do that?

10 A Remove weight from the ship.

11 Q Such as --

12 A Cargo.

13 Q Cargo, ballast.

14 A Ballast. Any kind of weight.

15 Q How about in the case of a tanker? How about  
16 closing down your IG system? And I'm talking now about a  
17 tanker that's been holed.

18 A That would be an excellent move.

19 Q To make it lighter?

20 A No, it would be an excellent move to prevent the  
21 loss of cargo.

22 Q And how about making the ship more buoyant?

23 A It would depend on the amount of oil in the tanks  
24 and the amount of damage that was done \_\_\_\_\_.

25 Q But that's another method, if you wanted to make

1 a ship lighter?

2 A Not necessarily in itself.

3 Q Okay. We're going to talk about that in awhile,  
4 but -- Now, you had a chance to study the evidence in this  
5 case, right?

6 A That's correct.

7 Q And would you agree that, at no time after the  
8 grounding, did Captain Hazelwood put his engines astern?

9 A That's correct.

10 Q So he didn't commit the error that you say is  
11 most common in this situation, that is, trying to back up?

12 A That's correct.

13 Q Now, would you agree that one of the tasks that a  
14 master has is to try and put his vessel, in any stranding,  
15 in as secure a position as possible?

16 A That's correct.

17 Q And is it your feeling that, when a vessel  
18 grounds, under no circumstances should the captain back his  
19 vessel up?

20 A No, absolutely not.

21 Q Well, in your article, on page 120, did you say  
22 this? "In general, the following form the basis for action  
23 in most strandings. Unless the weather is dead calm and no  
24 possibility exists that the ship can be driven further  
25 ashore" --



1 A Wait a minute. I'm not finding you.

2 Q Let me come over and help.

3 (Pause)

4 A Okay.

5 Q Okay, are you with me? Starting with "In  
6 general"? Shall I start again?

7 "In general, the following form the basis for  
8 action in most strandings. Unless the weather is dead calm  
9 and no possibility exists that the ship can be driven  
10 further ashore, broach or pound, no attempt should be made  
11 to back off. All efforts should be devoted to making the  
12 ship secure."

13 Do you remember writing that?

14 A If I were writing that today, I might not be so  
15 definite about it.

16 Q Oh, so you disagree with what you wrote back in  
17 '74?

18 A I don't necessarily disagree with it. I would  
19 give that some thought, and be -- see if perhaps I've  
20 learned something in the intervening sixteen years.

21 Q Well, let me ask you this. Is it your opinion  
22 that the sounder practice, rather than backing the ship up,  
23 and trying to get it off the reef in that fashion, would be  
24 to weigh the ship down?

25 A Sound practice is to determine the condition of

1 the grounding, before you do anything. That's the most  
2 critical thing.

3 Q Well, we're going to talk about that as well, I  
4 promise. But at that --

5 MR. COLE: I object to Mr. Chalos's commentary in  
6 the questioning.

7 MR. CHALOS: I'll try and restrict it as best as  
8 I can.

9 BY MR. CHALOS: (Resuming)

10 Q Mr. Milwee, did you say in this article, "By far,  
11 the sounder practice is to weigh the ship down by filling  
12 all tanks from the sea."

13 A That's a good practice in general. I was not  
14 specifically referring in this ship to tankers, certainly.

15 (Pause)

16 Q Now, in this article, you also mentioned the term  
17 "tons aground."

18 A Yes.

19 Q Can you explain for the jury what that means?

20 A That's the ground reaction that I was speaking of  
21 when I drew the pictures up here on the thing. It's  
22 another term for ground reaction.

23 Q Let me see if we can simplify it, because I have  
24 a tough time understanding ground reaction. Do you mean by  
25 tons aground, or ground reaction, that that is the weight

1 of the vessel resting on a particular bottom?

2 A It's the weight of the vessel. It's supported by  
3 the bottom, yes. Or the portion of the weight of the  
4 vessel that is supported by the bottom.

5 Q Okay. Did you make any determinations in this  
6 case as to how many tons this ship was aground?

7 A I did, and of course, the ground reaction, the  
8 tons aground, varies with the tide.

9 Q All right. We'll get into \_\_\_\_\_ detail.  
10 Now, I'd like to refer your attention to some  
11 excerpts of a book by a fellow named Graham Danton, called  
12 "The Theory and Practice of Seamanship," and ask -- which  
13 we marked as Exhibit AI for identification -- and ask you,  
14 does this book come out of your library?

15 A Yes, it does.

16 Q The excerpts? You refer to it from time to time?

17 A Yes, I do.

18 Q You use it as part of your reference work?

19 A Yes, I do.

20 Q Have you referred to this book in respect to your  
21 testimony here?

22 A Certainly have. I believe I gave you this.

23 Q You did.

24 A Uh-huh.

25 Q Now, in this particular book, starting with

1 Chapter 8, and titled "Stranding and Beaching," Mr. Danton  
2 gives us thirteen things to be done, after a grounding,  
3 does he not?

4 A Yes, he does.

5 Q And nine of them are immediate action upon  
6 stranding, and four of them are subsequent action. Do you  
7 see that?

8 A Yes.

9 Q Now. Do you agree with the proposition that the  
10 first thing that one does after the vessel runs aground is  
11 to stop the engine and put it astern if the tide is  
12 falling?

13 A No, I don't. Not necessarily.

14 Q So Mr. Danton doesn't know what he's talking  
15 about?

16 A I didn't say that. Mr. Danton has a different  
17 opinion than I do about that.

18 Q Okay. Do you agree with the second opinion that  
19 he expresses, which is: "The master much be close to the  
20 bridge and the engine room informed."

21 A Yes.

22 Q Now, you've read evidence in this case, did you  
23 not?

24 A Yes.

25 Q You've read the testimony of Mr. Cousins?

1 A Yes, I did.

2 Q How about Mr. Kunkel?

3 A Yes.

4 Q How about Mr. Kagan?

5 A Yes.

6 Q Basically, all the crew members?

7 A Yes, I think so. All the crew members.

8 Q Okay. Do you remember testimony to the effect  
9 that one of the first things that was done by the captain  
10 was to call the engine room to ascertain their condition?

11 A It was one of the things that was done by the  
12 captain, yes.

13 Q And do you also remember that the engineers were  
14 told to sound the void spaces, and to sound the engine room  
15 tanks?

16 A I don't remember the engineers were told that. I  
17 remember the engineers did it.

18 Q Did you read Mr. Bullocki's testimony?

19 A Yes, I did.

20 Q Do you remember him saying that?

21 A I remember him saying that the tanks were  
22 sounded, yes.

23 Q Okay. Do you consider those prudent actions?

24 A They were correct actions.

25 Q How about the taking of a fix to ascertain the

1 position?

2 A That's a correct action.

3 Q Good action?

4 A Good action.

5 Q Okay. The third thing that Mr. Danton suggests  
6 is, "Close watertight doors and make the signal for  
7 emergency stations." Do you agree with that?

8 A That's correct.

9 Q Okay. The fourth thing is to swing out the  
10 boats. He means the lifeboats, doesn't he?

11 A Yes, he does.

12 Q Do you remember the testimony in this case that  
13 Captain Hazelwood wanted the lifeboats brought down to the  
14 embarkation deck?

15 A Yes, I do.

16 Q Good action?

17 A Good action.

18 Q Now, number five says, "Observe rule 30 of the  
19 rules for preventing collisions and show the appropriate  
20 lights and shapes." Do you agree with that?

21 A Yes.

22 Q Have you heard from anyone, or has anyone told  
23 you, that, after the grounding, they lit up their two red  
24 lights?

25 A I don't know whether that was done or not. I

1 was --

2 Q Okay. Sixth action, ascertain position of the  
3 ship. That was done.

4 The seventh action, he gives a distress message  
5 to be sent to other ships in the area. Do you agree with  
6 that?

7 A Oh, yes.

8 Q In this case, the Coast Guard was called?

9 A Oh, yes.

10 Q Okay. The eighth action that he suggests is,  
11 "The master must decide whether to call for tugs to stand  
12 by?" Do you agree with that?

13 A Yes.

14 Q Do you remember the testimony of Mr. Myers having  
15 a conversation with the captain about getting salvage tugs  
16 out there?

17 A Yes, I do.

18 Q Correct action?

19 A In this case, it's almost a trivial action  
20 because of the nature of the tugs in the Valdez area.

21 Q Well, that's not Captain Hazelwood's fault.

22 A That's true.

23 Q Now, number nine, he says, "If the vessel is  
24 damaged, oil pollution may be occurring. This should be  
25 reported to the coast radio stations." That was done in

1 this case, right?

2 A That's correct.

3 Q Okay. Now, he says -- now, would you -- he  
4 doesn't specifically say it, but would you agree another  
5 important action to do here is to ascertain where your  
6 damage is, and how you've been damaged, and how much oil  
7 you've lost?

8 A Absolutely.

9 Q Do you remember Mr. Kunkel's testimony?

10 A Yes.

11 Q The captain told him to go below, ascertain where  
12 we're losing oil, how much oil we're losing, the rate that  
13 we're losing it, and report back to me on stability --

14 A I think he said, "Go below and see what you've  
15 got and check your options."

16 Q In effect, the same thing, right?

17 A Same thing.

18 Q Correct action?

19 A Correct action.

20 Q Now, in this, Mr. Danton goes on and says,  
21 subsequent action. He says, "The owners' charterer should  
22 be informed."

23 A Well, let's look at what Mr. Danton really says.  
24 He says, what should be classed as immediate and subsequent  
25 action is very much a matter of personal opinion and



1 choice.

2 Q Okay. That's --

3 A That's (inaudible).

4 Q That's the master's discretion, at that point?

5 A Well, I think it's what the master should do  
6 immediately, yes.

7 Q It's his choice, based on what he sees at that  
8 time, based on what information he has at that time?

9 A Uh-huh.

10 Q Okay.

11 Now, he puts number twelve as the item -- what he  
12 calls the item -- "The ship should now be examined for  
13 damage, never forgetting that the force of impact may have  
14 called hatches to spring away." Doesn't apply here, but  
15 certainly the checking for damages is an important part of  
16 it, right?

17 A Yes.

18 Q And the last thing that he has on here is,  
19 "soundings should be carried out over side and a general  
20 survey of the area, weather permitting, will enable the  
21 master to assess the best direction to which to try going  
22 off." Do you agree with that?

23 A I agree with that. I think it's location in here  
24 is perhaps unfortunate, because I think it's a very, very  
25 important thing to do.

1 Q Okay.

2 A Because without it, you can't -- you can't make  
3 any rational decision about action to be taken.

4 Q Okay. In the list of thirteen things to be done,  
5 some immediate, some subsequent, Mr. Danton lists the  
6 soundings as the thirteenth item out of thirteen.

7 A That's Mr. Danton's opinion.

8 Q But you don't agree with that?

9 A I do not agree with it.

10 Q Okay.

11 Now, let's talk a little bit about soundings.  
12 Would you tell the jury how soundings are made?

13 A Well, they're -- generally, in soundings on a  
14 casualty, you take a weighted line and drop it over the  
15 side to measure the depth of the water. You do this at  
16 very frequent intervals around the ship in order to get a  
17 picture of the profile of how the ship rests upon the  
18 ground.

19 In the case of rough weather, or something that  
20 interferes with being able to take soundings in a normal  
21 manner, you take the soundings by measuring from -- not  
22 from the surface of the water to the bottom, but from the  
23 deck edge to the bottom, and then marking it on a profile  
24 of the ship. So you're essentially marking this distance,  
25 rather than measuring from the water's surface to the

1 bottom.

2 Q Mr. Milwee, when you talk about a weighted line,  
3 can you tell the jury what you're saying?

4 A It's a piece of relatively light line with a  
5 weight on the bottom of it. So it will go in the water and  
6 sink. And it's essentially a plumb line, so it will sink  
7 and hang straight down into the bottom.

8 Q And how does one measure the depth of water when  
9 you're sounding, on that particular line?

10 A Well, if you're taking soundings from the  
11 surface, you're measuring -- you measure the depth of  
12 weighted line.

13 Q All right.

14 You know in this case, from reading what you read  
15 so far, that there was a lot of oil in the water, right?

16 A That's correct.

17 Q Okay. So we go over to the side with this  
18 sounding that you say, we drop it over the side the first  
19 time. The line gets coated with oil, doesn't it?

20 A That's correct.

21 Q Okay. So the second time we take it and drop it  
22 into the water, you can't tell what the depth is at that  
23 point?

24 A And that's exactly why you don't do it that way.  
25 That's why you measure from the deck edge, and then

1 measure --

2 Q The deck edge to what? To the water line?

3 A From the deck edge to the bottom, and measure to  
4 to you --

5 Q The bottom of what?

6 A The bottom of the sea.

7 Q Uh-huh.

8 A And then you measure that depth, and plot in on a  
9 profile of the ship.

10 Q Now, would you agree that, with oil spewing out  
11 all over the ship, you're not going to get an accurate  
12 reading?

13 A No, you're not going to get a totally accurate  
14 reading at any one spot. That's why you take a lot of  
15 them.

16 Q Uh-huh. And would you also agree that one of the  
17 ways you determine your draft when you're taking soundings,  
18 or determine how you're aground, is to know what your draft  
19 is, right? Are you with me on that?

20 A No. I'm not. You've \_\_\_\_\_ --

21 Q Well.

22 A Back over that one again.

23 Q You start out with the proposition that you know  
24 you're drawing 57 feet, your draft is 57 feet.

25 A You start out you knew you were drawing 57 feet

1 when you were afloat.

2 Q Okay. But now you're holed. Now you're losing  
3 oil, you're gaining water. You don't know what your draft  
4 is, do you?

5 A That's correct.

6 Q Okay. So what good are soundings, if you don't  
7 know what your draft is?

8 A Because you can then determine a profile of the  
9 bottom.

10 Q But if you don't know how deep you're in the  
11 water, you can't tell --

12 A That's exactly what you're trying to determine.  
13 That's exactly what you are determining.

14 Q Let's look at it a different way. If you're on a  
15 rocky, pinnacle bottom, right? Which Prince William Sound  
16 is? You can take a draft right here, and it could read one  
17 thing. You go over here two feet away, and it reads  
18 completely different --

19 A That's right.

20 Q Maybe it could be twenty feet difference.

21 A That's right. And then I know I've got a  
22 problem.

23 Q You go back here and it reads something else,  
24 right?

25 A And I know I got a problem.

1 Q Well, you know you're on a pinnacle bottom.

2 A I know I'm on a -- on a tough bottom, and it's --  
3 I have some idea about how hard (inaudible).

4 Q Well, Captain Hazelwood -- Captain Hazelwood  
5 knew, didn't he, that he was on a rock pinnacle bottom?

6 MR. COLE: Objection. Lack of knowledge.

7 MR. CHALOS: I'll rephrase the question, Your  
8 Honor.

9 BY MR. CHALOS: (Resuming)

10 Q Based on what Captain Hazelwood was told at the  
11 time, and based on the testimony you read, it's fair to  
12 say, isn't it, that Captain Hazelwood knew he was aground?

13 A Oh, yes.

14 Q And he knew that he was aground in Prince William  
15 Sound?

16 A Yes.

17 Q And he knew he was aground on a rocky bottom?

18 A Yes.

19 Q Okay.

20 Let's talk about what Captain Hazelwood did  
21 know. He knew he wasn't holed on the port side, didn't  
22 he? He was told that by --

23 A He didn't have any loss of cargo on the port  
24 side. He had reason to believe he wasn't holed.

25 Q And he knew that, on the basis of -- of what was

1 given to him, that he had enough water, at least, right  
2 below his propeller and his rudder?

3 A Say that again, please?

4 Q He knew that he had sufficient water around his  
5 propeller and rudder at that point? Do you remember that  
6 testimony?

7 A I don't believe he knew that. I don't believe he  
8 could have known that.

9 Q All right. He knew -- he knew that he was holed  
10 on the starboard side, did he not?

11 MR. COLE: I'm going to object. We're projecting  
12 what he knew, and that's impossible for this person to say.

13 MR. CHALOS: Well, let me rephrase it.

14 THE COURT: That's in evidence, Mr. Cole, that  
15 Mr. Kunkel told him what was happening with those tanks,  
16 and I think that was an inference, is that he knew there  
17 was some damage on the right side. So the objection is  
18 overruled.

19 BY MR. CHALOS: (Resuming)

20 Q He knew that he was holed in the center tanks,  
21 and he knew that he was holed on the starboard side?

22 A That's correct, and that's all he knew.

23 Q Right. What more would soundings have told him?  
24 He knew all that information already?

25 A He didn't know where he was aground. He didn't

1 know how hard he was aground.

2 Q Well --

3 A He didn't know how he was sitting on the bottom.

4 Q Again, if he was sitting on a pinnacle rock, and  
5 that rock was projecting into the ship, the fact that he  
6 may have taken a sounding over the side over here where the  
7 rock wasn't wouldn't have told him how far in the rock was,  
8 would it?

9 A Nothing would have told him how far in the rock  
10 was, but he didn't make any attempt to determine that, and  
11 it's very basic information.

12 Q You know, I agree with you, if we're talking  
13 about a mud bottom, or we're talking about a shoal bottom.  
14 But you say the same principle would apply when you have a  
15 pinnacle rock bottom?

16 A It would apply on any type of bottom. It's basic  
17 information. You've got to try to determine it.

18 Q In spite of all the problems that we've just  
19 discussed, the oil, and the fact that he didn't know his  
20 draft, and he knew certain other information? That's your  
21 opinion?

22 A He knew very little information. He did not try  
23 to determine this information, and I think he should have.

24 Q By the soundings?

25 A That's correct.



1 Q Okay.

2 Sir, just before we leave this subject, the  
3 soundings wouldn't have told him how the rocks were impaled  
4 in this ship, would they?

5 A No, they can't.

6 Q And the soundings wouldn't necessarily, on the  
7 pinnacle bottom, tell him how many tons he had aground?

8 A Give him a pretty good indication.

9 Q Assuming that the bottom is uniform at that  
10 point?

11 A No, not necessarily.

12 Q Would the soundings tell him how much oil he's  
13 losing?

14 A No.

15 Q Would the soundings tell him anything other than  
16 what you say may be the general area, assuming that he  
17 could get through the oil?

18 A It would tell him how much -- roughly how much of  
19 the ship was resting on the bottom, and by a very simple  
20 calculation, it would give him an approximation of the --  
21 how hard the ship was aground.

22 Q Okay.

23 Now, just a few more questions about your  
24 background. You said you've testified a number of times?

25 A Yes, I have.

1 Q How many times have you testified?

2 A Half a dozen, somewhere -- maybe ten.

3 Q Have you testified in any situation involving a  
4 tanker aground?

5 A No.

6 Q Did I understand you correctly, that you looked  
7 at the King's Point simulation of this vessel's course?

8 A Yes, I did.

9 Q Why did you look at that?

10 A General background.

11 Q Did you rely on it in any way, to come to your  
12 conclusions?

13 A No.

14 Q Now, you mentioned also that you -- you spoke  
15 with Mr. Leitz about the grounding.

16 A Yes, I did.

17 Q And, without getting into the substance, he  
18 basically told you what he did?

19 A How the salvage operation went, yes.

20 Q Do you have any problems with what he did to get  
21 this vessel off the strand?

22 A Not at all. Not at all.

23 Q Do you have an understanding as to how this  
24 vessel was lightered and taken off the strand?

25 A Her cargo was removed, and she was -- the

1 pressure was put on the tanks to -- where necessary until  
2 she was lightened. It's pretty much the standard way to  
3 remove tankers. You lighten them and move them. You don't  
4 try to drag them on the bottom, and you particularly don't  
5 try to drag them on rock bottoms.

6 Q Okay.

7 In this particular case, she was refloated on  
8 high tide?

9 A That's correct. It happened to be high tide,  
10 yes. It was -- one would normally choose to do it on high  
11 tide, because it simplifies some of the other problems.

12 Q Okay. Now, you saw this ship down in San Diego,  
13 did you not?

14 A Yes, I did.

15 Q And you saw the damage that she had at that time?

16 A Yes, I did.

17 Q All right.

18 You couldn't tell, could you, by looking at it in  
19 San Diego what damage was caused by the grounding, what  
20 damage may have been caused by subsequent tidal action,  
21 what damage may have been caused by the refloating attempts  
22 of the salvors, or what plates may have been cut away?

23 A Well, no, that's not totally correct.

24 Q Well --

25 A The damage caused by the grounding was obvious.

1 Damage --

2 Q What damage was that?

3 A It was the scraping and the upset plate, the torn  
4 plate throughout the length of the ship. Damage by the  
5 tidal action was also very obvious, because it was -- it  
6 was vertically oriented damage in the structure of the  
7 ship. Crushing of the hull plate, buckling of structural  
8 members, well up into the ship. Damage to the reef. In  
9 the salvage attempt, there should have been one, the way  
10 the ship was refloating. She brought -- just brought  
11 straight up.

12 That's why you do that, with tankers. That's why  
13 you lightened and refloat them that way, rather than trying  
14 to drag them. So any damage that was done in an initial  
15 refloating attempt couldn't be apparent because the plating  
16 that -- where that damage would have occurred, essentially,  
17 the shell plating, the hull plating in the grounded area  
18 was gone.

19 Q Could you tell in San Diego, by looking at the  
20 bottom of the ship whether there had been any damage done  
21 transversely, as a result of using the rudder?

22 A I didn't see any, but most of that damage I would  
23 have expected to appear in the area that was gone.

24 Q Would you agree that whatever damage this ship  
25 suffered occurred in the striking of the reef, other than

1 the damage that occurred because of the tidal action?

2 A All that I saw occurred from both the striking of  
3 the reef and the tidal action.

4 Q Now, I'd like to talk a little bit about your  
5 opinion that there were two hits. It hit initially, and  
6 then it hit again and stopped.

7 Have you done any plotting to figure out where  
8 this ship was at any particular time?

9 A No, except for the soundings that were taken  
10 during the salvage survey, there are no fine grained  
11 soundings in that area, that I know of.

12 Q The sounding -- the soundings that you're talking  
13 about now were done during the salvage survey. Have you  
14 looked at those?

15 A I've looked at them. I haven't studied them in  
16 great detail but --

17 Q Do you have a copy in your book?

18 A Let's see whether I do or not.

19 (Pause)

20 I don't think I do.

21 Q Well, from memory -- from memory, do you remember  
22 that in those soundings there was plenty of water aft of  
23 the ship, according to the soundings?

24 A Immediately after the ship? I believe that was.  
25 I didn't -- I didn't spend a great deal of, you know, time

1 on those soundings, because I wasn't greatly interested in  
2 the salvage operation, other than just as a matter of  
3 general professional interest and --

4 Q But you do recall plenty of water being after the  
5 ship?

6 A Immediately after the ship.

7 Q Okay. Now, you say that you didn't plot the  
8 ship's course, or speed, on any chart to determine where  
9 she might have at the particular time just before the  
10 grounding?

11 A I plotted it, but I just did it as a model of --  
12 as a rough plot, as a matter of general background.

13 Q And I take it you spoke to Mr. Greiner about his  
14 theory of two hits, and the hits lasting about two minutes  
15 between them?

16 A Well, I don't think we talked about it lasting  
17 two minutes between them. We talked about it taking a  
18 total of about two minutes for the vessel to come to rest.

19 Q That would depend, I suppose, on what the depth  
20 of water was in that particular area as to whether it would  
21 take two minutes, or one minute, or --

22 A Oh, it would depend on the distance, the -- how  
23 hard the vessel hit the reef. I would -- how much of the  
24 energy of the vessel went into speed decay, how much went  
25 into physical lifting of the vessel, how much of it went

1 into breaking of the rock, but just from the distance that  
2 the vessel travelled, it looked like it was about two  
3 minutes.

4 Q But you didn't plot it to make sure that your  
5 theory is correct?

6 A No way to. No way to. The information just  
7 wasn't available.

8 Q All right.

9 And you've heard the crew's testimony, or you've  
10 read the testimony, about the type of action they felt, the  
11 type of noises they felt?

12 A I heard it was bumping and grinding across the  
13 bottom, yeah.

14 Q About 15, 20 seconds, you remember they said  
15 that?

16 A Well, no, I heard a few seconds, but I don't  
17 think anybody was that specific.

18 Q If the crew -- several members of the crew said  
19 that we felt vibrations, we felt the vessel rocking, and  
20 that lasted about 15 seconds, and we came to a stop, that  
21 would be inconsistent with your two-minute theory?

22 A It would be inconsistent with the vessel  
23 travelling the distance it would have had to travel to get  
24 damage the length that it did.

25 Q Well, that's because you assume that the vessel

1 first hit at the bow and then travelled the whole length.

2 A Vessels going forward normally first hit at the  
3 bow, when they have damage at the bow, yes.

4 Q You didn't assume any other potential scenario?

5 A No, and the damage I saw was consistent with what  
6 I -- with damage at the bow, first.

7 Q Did you speak to Mr. Boris about this theory of  
8 two hits?

9 A I don't recall specifically discussing it with  
10 him. I might have.

11 Q Have you seen a letter written by Mr. Boris,  
12 dated September 11, 1989, which we marked for  
13 identification as AA?

14 THE COURT: (Inaudible).

15 MR. CHALOS: I'm going to show him what was  
16 marked for identification. I think he knows the letter I'm  
17 referring to.

18 (Pause)

19 BY MR. CHALOS: (Resuming)

20 Q Have you seen this letter before?

21 A No, I haven't.

22 Q This is the first time you've seen this?

23 A Yes.

24 THE COURT: Which Exhibit are you referring to?

25 MR. CHALOS: AA, Your Honor.



1 THE COURT: Okay.

2 BY MR. CHALOS: (Resuming)

3 Q The first time?

4 A First time.

5 Q Have you discussed Mr. Boris the proposition that  
6 you, the experts in this case, had to show conclusively  
7 that there were two hits on this vessel in order to offer  
8 that as a logical explanation as to why Captain Hazelwood  
9 did not go astern in this case? Do you remember discussing  
10 that?

11 A I definitely have not discussed that with Mr.  
12 Boris.

13 Q How about with Mr. Greiner?

14 A No. I haven't discussed that with anyone.

15 Q Then this is the first time you're hearing that  
16 proposition?

17 A That's correct.

18 Q Okay.

19 MR. CHALOS: May I approach the witness, Your  
20 Honor?

21 THE COURT: (Inaudible).

22 BY MR. CHALOS: (Resuming)

23 Q Let's talk about tons aground. Have you looked  
24 at any schematics of the vessel aground? Specifically,  
25 I'll show you what I've marked AG, which is a blow up of

1 something that you had in your file.

2 A Yes. I've seen several of those, those  
3 schematics.

4 Q Okay. Do you recall seeing this one here?

5 A I've seen several that were either that one or  
6 close cousins to it, but that's typical of the ones that  
7 I've seen.

8 Q You made certain calculations about how many tons  
9 this vessel was aground?

10 A Yes, I did.

11 Q Did you base those calculations in part on this  
12 schematic?

13 A Not that particular one.

14 Q One close to it?

15 A One close to it.

16 Q Okay. Let me, if I may -- how --

17 MR. COLE: Judge, is this being offered for  
18 admittance? If it is, I object. I object to him using it.

19 MR. CHALOS: Your Honor, I just want to ask him  
20 how he determined the tons aground on the basis of this  
21 schematic, either this one, or one close to it. I've had  
22 this one blown up from documents that came out of the --

23 THE COURT: Did you use this document in making  
24 that determination?

25 THE WITNESS: No, sir, not this particular one.

1 I used one very similar to it.

2 THE COURT: You're not offering it as an exhibit,  
3 just --

4 MR. CHALOS: No, just as an illustration right  
5 now.

6 THE COURT: All right. I'll let you go ahead  
7 (inaudible).

8 BY MR. CHALOS: (Resuming)

9 Q Could you tell the jury how you made the  
10 determination of how many tons were aground?

11 A I -- in the one that I had that were drafts  
12 marked on the -- on the particular drawing, they were  
13 drafts for the starboard bow, port bow, starboard quarter  
14 and port quarter. I used a method of averaging those  
15 drafts in which you take means of several times in order to  
16 determine a mean draft, or a resultant mean draft.

17 And from that I multiplied it by quantity known  
18 as the tons per inch immersion, which is the amount of  
19 weight that must be removed from a ship to raise it one  
20 inch, or add it to a ship to increase the draft one inch,  
21 and I determined a -- the amount that the ship had raised  
22 during the grounding.

23 That gave me the ground reaction under a  
24 particular condition of the tide and the drawing that I had  
25 had the -- had the time on it, as this one does, and then I

1 -- I took that and ran a series of calculations for all --  
2 all states of the tide that existed during the period of  
3 the grounding.

4 Q Let's just stop there one second. At what stage  
5 of the tide did you start your calculations?

6 A Oh, I think it was -- that's the date and time.  
7 It was -- soundings were taken between 3:30 in the  
8 afternoon at 5:00 o'clock on that date. I took -- I said,  
9 well, let's take the mean of that. Let's take the average  
10 time and call it soundings at 1615, and high water that day  
11 was about 4:09. I said, well, let's just assume it's the  
12 top of the tide, and we calculated the ground reaction for  
13 that, and then it's just a matter of going up and down a  
14 straight line.

15 Q Okay. So it's fair to say that you started with  
16 the tons aground with the tide \_\_\_\_\_ as its highest?

17 A It wasn't at the highest that it reached during  
18 that period, and it certainly --

19 Q Well, at high tide.

20 A -- wasn't at the high \_\_\_\_\_, but it was  
21 high for that particular day. The tide doesn't reach the  
22 same height every day.

23 Q Okay. Now, is it fair to say that this vessel  
24 was always aground, no matter what stage the tide was at,  
25 whether it was high tide or low tide? She was always

1 resting on the bottom?

2 A Yes, \_\_\_\_\_, it was.

3 Q Would you agree that this vessel was very hard  
4 aground, on the basis of what you've read?

5 A It was -- it was from hard aground to very hard  
6 aground.

7 Q Was she impaled?

8 A I don't know that. I suspect that there was  
9 rock, if not actually impaling the vessel, there was rock  
10 well up into the -- some of the indentations in the upset.

11 Q Mr. Greiner testified that for this vessel to hit  
12 the forwardmost -- or the aftermost point on which it was  
13 aground, it would have to move forward, about 350, 400  
14 feet. Would you agree with that assessment?

15 A It would have to move forward from its initial  
16 impact here of three or four hundred feet. Now, this is  
17 three or four hundred feet after the stem.

18 Q Right, and to get to the engine room spaces, it  
19 would have to move another three, four hundred feet?

20 A That's more than that, I think.

21 Q More?

22 A I think the the ship's well over that --

23 Q What do you think?

24 A Well, the ship's 945 feet long. This is about  
25 480 -- it's about four hundred, five -- almost five hundred

1 feet.

2 Q Okay. So in order for the engine room spaces to  
3 come up here and hit this portion of the rock, the vessel  
4 would have to move forward about 400, 500 feet?

5 A That's correct.

6 Q Okay. Now, let me take this now.

7 You made some calculations as to the number of  
8 tons aground at any particular point. How many tons  
9 aground did you figure approximately two hours before high  
10 water?

11 A Two hours before high water, it would depend on  
12 the height --

13 Q The reason I'm using two hours --

14 A Yeah.

15 Q -- for high water, it would have been about the  
16 time that this vessel grounded on that night.

17 A I --

18 Q 24th.

19 A I calculated a figure when she grounded of  
20 something around 13,000 tons.

21 Q 13,000 tons. May I write this down?

22 (Pause)

23 Okay. That means that 13,000 tons of this vessel  
24 was resting on the bottom.

25 A That's correct.

1 Q Okay. And that number, as the tide changed,  
2 would get bigger, wouldn't it? As the tide dropped --

3 A As the tide dropped, it would get bigger. As the  
4 tide rose, it would get smaller.

5 Q Okay.

6 Now, this 13,000 is based strictly on this TPI  
7 formula that you used?

8 A That's correct.

9 Q Now, you didn't take into account the fact that  
10 there was oil mixing with water, and more -- as the oil was  
11 coming out, more water got in?

12 A No, I didn't.

13 Q Okay. And that would increase the \_\_\_\_\_?

14 A That would increase it.

15 Q That would increase it.

16 A Would you agree with it.

17 Q Would you agree with me that, at the time this  
18 vessel was aground, an approximate number of tons aground  
19 was about 20,000 tons, given the amount of oil that was  
20 going out, and the water coming in?

21 A I wouldn't agree with you without making those  
22 calculations, no.

23 Q Okay. Do you find the number 20,000 to be  
24 whacky, for instance?

25 A I wouldn't use the term whacky. I just wouldn't

1 want to put a number on it without doing my own  
2 calculations.

3 Q Okay.

4 A It would be greater than 13,000.

5 Q It would be greater. Okay.

6 Now, in order -- could you explain to the jury  
7 what the term coefficient of friction means?

8 A I think so.

9 Q (Inaudible).

10 A No, I'm going to come around there and draw  
11 pictures with you.

12 Q Okay.

13 (Pause)

14 A If weight, no matter what it would be, is resting  
15 on the surface, and all that weight is acting down and  
16 supported by the surface, you can move that weight by  
17 pushing on it. We all know that. You have to push on it  
18 with a certain amount of force in order to move it along  
19 the surface, and the resistance to that, and the amount of  
20 force that you use, depends upon the surfaces, surface at  
21 its own, and how much friction there is between the surface  
22 and the object, and the friction that has to be overcome  
23 before that thing's going to move.

24 So there's a formula that engineers use that says  
25 the force is equal to the coefficient of friction times the



1 weight, so the coefficient of friction is a number that  
2 relates the weight to the amount of force that it takes to  
3 move that weight.

4 Q Another way of saying force in respect to a ship  
5 would be the thrust generated by its engine, would it not?

6 A If that's --

7 Q In other words, that's the way a ship moves, is  
8 by the thrust generated by its engine?

9 A Not always in salvage operations, no. But that's  
10 one thing that moves a ship, yes.

11 Q Okay. Now, the coefficient of friction varies  
12 depending on what type of bottom you're on?

13 A Yes, it does.

14 Q For sand it's something, for coral it's something  
15 else, and for rocks it's yet a different number.

16 A Yes, it is.

17 Q What's the coefficient of friction for rock --  
18 rock bottoms?

19 A It varies. It's quite high for rock, and it  
20 varies from about .8 to 1.5.

21 Q And I think in one of your papers, you -- you put  
22 -- you always use 1.5 --

23 A Well --

24 Q -- in determining the force necessarily to move  
25 the vessel?

1           A     My practice is to be very conservative in this,  
2 because I don't want to get caught short with insufficient  
3 force to move it.

4           Q     Okay.

5           A     It's not necessarily an accurate determination of  
6 the force that's going to be used. It's -- it's a planning  
7 figure for operational planning, yes.

8           Q     All right.

9           A     Okay.

10          Q     This is 13,000 tons. Now, this coefficient of  
11 friction of 1.5 assumes a fairly smooth rock bottom and a  
12 vessel that's not hung up in any way?

13          A     No, it assumes a rock bottom.

14          Q     And a vessel not hung up in any way?

15          A     Not impaled in any way.

16          Q     Okay.

17          A     If it impales, you're not going to move it.

18          Q     All right. Well, that's my next question. If  
19 you have an impalement, the coefficient of friction just  
20 goes right off the graph, doesn't it?

21          A     Well, it becomes irrelevant.

22          Q     And \_\_\_\_\_?

23          A     It becomes irrelevant, because you're -- you're  
24 working against the rock. If the rock is up in the ship,  
25 you've got to move the rock, not -- not simply slide over

1 it.

2 Q Okay. That would be the same, also, if you had  
3 plate hanging down, hung up on the rock? It would --

4 A Ah, it would, to a lesser extent, yeah.

5 Q Okay. Let's assume, for the moment, that this  
6 ship, Exxon Valdez, was not impaled, and let's use your  
7 number, which you say is 13,000, but it could have been  
8 more at the time of the grounding, and use the coefficient  
9 of friction of 1.5.

10 So what you had -- the force that you needed to  
11 move this vessel would have been -- would you agree --  
12 19,650 -- 19,650 tons?

13 A That's about right.

14 Q Okay. So even -- even under the minimum  
15 circumstances you described -- and, by the way, this number  
16 got up, I think you calculated, as high as 50,000?

17 A But it also got down as low as 4,000.

18 Q Okay.

19 A Or less than 4,000, around 3,600.

20 Q That was at the highest high tide?

21 A That was at the high tide that existed shortly  
22 after the grounding.

23 Q Again, not using -- not taking into account the  
24 fact that oil was mixing with water, and that would tend to  
25 raise it?

1 A No.

2 Q Okay. That's correct, then? Okay.

3 So let's, just for calculations sake, say that it  
4 would take 19,650 tons to move this vessel an eighth of a  
5 inch. Right? Do you agree?

6 A Any distance at all, yes.

7 Q Okay.

8 A I guess an eighth of an inch is --

9 Q Have you done any calculations as to what kind of  
10 thrust this engine would generate?

11 A Yeah, I did a quick and dirty on it that gave  
12 me --

13 Q What do you mean by quick and dirty?

14 A -- gave me a very high figure. An approximation.

15 Q Okay.

16 A A very \_\_\_\_\_ approximation, and it gave me  
17 -- intentionally gave me a very high figure.

18 Q What was the figure you came up with?

19 A Oh, I came up with about 365 tons, which I think  
20 is probably about twice, or better, what the engine would  
21 actually do.

22 Q So you think the engine would do about 200 tons?

23 A Oh, at the outside.

24 Q Okay. So the best this ship could do -- the best  
25 this ship could do, using maximum power, 31,000 horsepower,

1 is 200 tons, right?

2 A That's about right.

3 Q And it had to overcome 19,650 tons of friction?

4 A There is absolutely no question that this ship  
5 could not have moved using its engines alone.

6 Q No matter what Captain Hazelwood did?

7 A No matter what Captain Hazelwood did, but Captain  
8 Hazelwood didn't take any -- make any attempt to determine  
9 that.

10 Q That's not the question. The question is Captain  
11 Hazelwood could have thrown this thing into full, full  
12 ahead, which he did, use the full 31,000 horsepower that he  
13 had, and the best he was going to generate was 200 tons of  
14 thrust. Right?

15 A That's correct.

16 Q And even under your scenario, which you're saying  
17 could have been higher at that time, he would have to  
18 overcome 19,650 tons of friction?

19 A He would have to overcome a figure somewhere --  
20 he would have to overcome a figure that was greater than  
21 the amount of thrust that he was able to generate. That  
22 was -- those figures are still a little indeterminate,  
23 because the ship was rising, the tide was rising, the  
24 thrust was going down. That's the highest possible  
25 coefficient of friction for rock.

1 Q You're talking about an impossibility, aren't  
2 you? It was impossible to move this ship with the power  
3 that it had, and in the condition she was hung up?

4 A That's correct.

5 Q And that would be -- strike that.

6 (Pause)

7 Sir, you say Captain Hazelwood couldn't have  
8 known how he was aground because you say he didn't take  
9 soundings, but we've covered that ground already. Captain  
10 Hazelwood, on the basis of testimony you read, knew that he  
11 had been holed in ten tanks. He knew that his ship was  
12 hung up somewhere. He could tell that, just by using the  
13 rudder.

14 A That's right. According to his statement to  
15 Commander McCall, he thought he was hung up astern  
16 somewhere.

17 Q Okay. But he knew -- he thought, at that time,  
18 that he was hung up somewhere. Am I correct?

19 A That's correct.

20 Q Okay. And it's safe to assume that, if he were  
21 making calculations, he'd know that at least one, possibly  
22 two tanks, were sitting on the bottom at that point?

23 A That's correct.

24 Q Okay. And if he did a real quick calculation  
25 that said, "I've got number three tank, number four tank,

1 aground. I know that my tons aground are going to exceed,  
2 by far, any potential thrust this engine has --

3 A You've lost me completely.

4 Q Captain Hazelwood would have known that he was  
5 aground somewhere, right?

6 A Yes.

7 Q And he would have known that there was a certain  
8 tonnage aground, whether he knew it was 13,000, or 19,000  
9 or 50,000 --

10 A Or 50.

11 Q Fifty.

12 A He didn't -- he had no idea how hard aground he  
13 was.

14 Q When you say fifty, you're assuming one pinnacle  
15 of the ship resting on one pinnacle, right?

16 A Not necessarily, no.

17 Q Well, how would he know that it would --

18 A He could be very lightly aground. He could be  
19 just resting very lightly on the bottom.

20 Q Okay. Let's take your scenario. If that's true,  
21 if that's what he's trying to determine, wouldn't one of  
22 the things that he would do would be to use this rudder to  
23 see how the ship swung?

24 A On rock? Absolutely not.

25 Q That's your --

1           A     Attempting to move a ship, aground, on rock,  
2 without knowing anything about the grounding condition, is  
3 not the thing to do.

4           Q     That's your opinion?

5           A     Particularly a tanker that you can do additional  
6 damage to.

7           Q     What -- if he knows that he's got ten tanks  
8 holed, and he's concerned about -- about coming off this  
9 little pinnacle that he might be on, what does he do in  
10 that situation? Does he keep his engines running?

11          A     It would depend on what indication he had of a  
12 reason to be concerned about coming off of this, as you  
13 phrase it, little pinnacle, but he wasn't on a little  
14 pinnacle, and he did nothing to determine what he was on.

15          Q     Mr. Milwee, you'll agree, won't you, that we're  
16 talking about a major casualty situation, right?

17          A     Absolutely.

18          Q     And you'll agree that ship's crews are not  
19 trained, or geared up, or experienced in major casualty  
20 situations? Do you agree with that?

21          A     I would agree that most ship's crews are not  
22 experienced in major casualty situations.

23          Q     All right. And will you agree that, in a  
24 situation like that, the captain has to make some quick  
25 decisions?



1 A That's correct.

2 Q And the decisions that he has to make are under  
3 the pressure of the moment, the panic of the moment, of the  
4 situation as it exists at that moment? Do you agree?

5 A I certainly wouldn't phrase it like that. I  
6 certainly wouldn't say the panic of the moment. I would  
7 say they have to be made under a great deal of stress.

8 Q Okay. Stress is a better word.

9 Did you read the testimony of Mr. Kunkel when he  
10 came up to the bridge at 12:30 and he spoke with Captain  
11 Hazelwood?

12 A Yes, I did.

13 Q And you remember how Mr. Kunkel described Captain  
14 Hazelwood at that moment?

15 A I believe he said he was calm and collected  
16 and --

17 Q And in command, right?

18 A Your words -- or Mr. Kunkel's, perhaps.

19 Q Mr. Kunkel's words.

20 Now, you have a situation where Captain  
21 Hazelwood, under the stress of the moment, in the heat of  
22 the moment, had to make certain decisions, and one of the  
23 decisions he obviously had to make was to figure out how  
24 this ship was hung up at that particular time. Right?

25 Now, you criticize him, eleven months later, for

1 using his rudder, but isn't that one of the ways, a quick  
2 way, to try and figure out if you're hung up astern,  
3 forward, in the middle; if you're hung up on pinnacle?

4 A With the massive damage that that ship had at  
5 that time, using the rudder was not the way to figure out  
6 anything.

7 Q Sir, with the massive damage that this ship had  
8 at that time, what other damage could have been done by  
9 turning the ship a little bit to find out whether you're  
10 aground or not?

11 A You don't know what kind of damage could have  
12 been done, and it's a risk that's not worth taking. You  
13 know you've got massive damage. The best thing to do is  
14 hold her right where she is, not go wiggling around on a  
15 rock.

16 Q You're a salvage master, right?

17 A That's right.

18 Q It's your job to know these things, and to do  
19 those things, and to speak about those things as an expert  
20 here?

21 A That's correct.

22 Q A captain is not salvage master?

23 A That's correct.

24 Q A captain has to do what he has to do at that  
25 particular time to try and minimize the situation, right?

1           A     That's correct.

2           Q     Okay. You've had eleven months to think about,  
3 "Boy, if I was Captain Hazelwood on that night, and I came  
4 up to the bridge, and I saw oil all around, the first thing  
5 I would have done, is I would have run down and throw my  
6 line over the side to see how -- get some soundings right?"

7           A     I've had more than eleven months to think about  
8 what should be done in the case of a stranding. I've had  
9 about six weeks, I think, to look at any information in  
10 this case.

11          Q     Let's talk about the information that you've  
12 looked at in this case. Now, before we do that, you don't  
13 know what training or experience Captain Hazelwood had in  
14 groundings on rock bottoms with this type of vessel?

15          A     Say that again, please?

16          Q     I say, you don't have any idea of whether Captain  
17 Hazelwood had any training at all as to handling a  
18 situation of this type?

19          A     No, I don't.

20          Q     There's no school, is there, that takes masters,  
21 such as Captain Hazelwood, and says to them, "Look, we're  
22 going to give you fourteen scenarios and if scenario number  
23 twelve comes up, that is night, Prince William Sound, hard  
24 aground on Bligh Reef, you'd do one, two, three, four,  
25 five, six, eight, twelve, thirteen things?" No school like

1 that, is there?

2 A There are no schools like that. There are  
3 certainly publications for tanker masters about what to do  
4 in groundings.

5 Q Well, talking about that, I read you two  
6 publications, one was yours, and one was Mr. Danton's,  
7 right?

8 A That's two of four publications that I know of in  
9 the English language.

10 Q All right. And, let me give you a third one.  
11 It's called "Shipboard Damage Control," by Mr. Bessell,  
12 Orel and Livingstone. Do you know this book?

13 A I've seen it. It's not one I have in my library.

14 Q Okay. They say, on page 65 --

15 MR. COLE: Judge, could I see this before he  
16 reads it into the record?

17 (Pause)

18 THE COURT: Do you one of you folks need to take  
19 a break?

20 MS. : Yes.

21 THE COURT: We're going to be finished in about  
22 ten minutes. Can you wait ten minutes?

23 MS. : (Inaudible).

24 THE COURT: We can take one now, if you need to,  
25 and we'll come back in about five or ten minutes, and we'll

1 be back in about five or ten minutes when we come back.  
2 We're going to recess at 1:30.

3 MS. : Okay.

4 THE COURT: Can you wait for ten minutes?

5 MS. : Yes.

6 BY MR. CHALOS: (Resuming)

7 Q Showing you page 65, Messrs. Bessel, Orel, and  
8 Livingston say, "It is evident that prompt action must be  
9 taken by" --

10 MR. COLE: Judge, I mean, what are we doing  
11 here? Are we going to --

12 MR. CHALOS: I'm going to read --

13 THE COURT: Well, Mr. Cole, you could get an  
14 objection in --

15 MR. COLE: I object to his reading this into the  
16 record without a proper foundation.

17 THE COURT: I hear hearsay was hidden somewhere  
18 behind that, but you can make my job a little easier if  
19 you'll just make it clear to me what your objection is, Mr.  
20 Cole.

21 This hasn't been given the learned treatise  
22 foundation by this witness, if you're trying to read it  
23 into the record for that purpose.

24 MR. CHALOS: Judge, I'm only going to read this  
25 sentence and ask him, if, in his opinion, that's correct or

1 not.

2 THE COURT: Well, that's what learned treatises  
3 are for, and you have to lay a foundation for them, Mr.  
4 Chalos, and he hasn't given you the foundation, so the  
5 objection is sustained.

6 BY MR. CHALOS: (Resuming)

7 Q Mr. Milwee, you say you know of this book?

8 A I know of that book.

9 Q And you've read it?

10 A No, I haven't read it. I've looked -- thumbed  
11 through it, looked at excerpts from it, and I haven't read  
12 the book.

13 Q Is -- do you know whether or not this book is  
14 used in any naval architecture schools, such as Webb?

15 A I don't know now, no.

16 Q Have you seen this in the library of Webb  
17 Institute, or --

18 A I think that book was published long after I was  
19 last in a library at Webb Institute.

20 Q Where did you see this book?

21 A Oh, Heavens, I don't know. Probably in the year  
22 -- at a naval institute bookstore, in the publisher's  
23 bookstore, in some marine shop somewhere.

24 Q Have you had occasion to visit other salvage  
25 master's offices?

1 A Yes, I have.

2 Q Have you seen this book in their libraries?

3 A I don't specifically recall seeing it in their  
4 libraries.

5 Q Let me -- if an opinion is expressed in this book  
6 that the commanding officer should --

7 MR. COLE: Objection, Judge.

8 THE COURT: Mr. Chalos, you're trying to do  
9 indirectly what you can't do directly. This -- this  
10 witness has not testified that this is a reliable source  
11 which he relies upon, and you've got no foundation for it.

12 BY MR. CHALOS: (Resuming)

13 Q Mr. Milwee, do you consider this a learned  
14 treatise for salvage?

15 A Well, I don't use it. I have never used it, and  
16 I have deliberately not bought it on a couple of occasions,  
17 because --

18 Q Do you know Mr. Bessell?

19 A No, I don't. I don't know -- I don't know any of  
20 the authors of that book.

21 Q You don't. Is there a particular reason why you  
22 wouldn't want to use this book?

23 A No, I just -- I just haven't chosen to use it.

24 Q Well, let's get back to the two treatises that we  
25 did read, yours and Mr. Danton's that you do rely on.

1 There seems to be a discrepancy between what you would do  
2 and what Mr. Danton suggests, right? Mr. Danton says you  
3 should back up; you say, no, never back up.

4 A No, I don't say nobody -- I didn't say never back  
5 up. I says I just don't agree with him that that's always  
6 the first thing you should do.

7 Q Okay. You said there were publications available  
8 to ship's masters, so if a ship's master was reading your  
9 paper and Mr. Danton's paper, what does he do? You're  
10 saying one thing; he's saying another?

11 A Well, I think he would evaluate what they said,  
12 and weight it accordingly. I think he might also, if he  
13 were very interested in the subject, might go out and find  
14 the other documents that apply, and I think if he were a  
15 tanker master, he would go out and find the one that was  
16 specifically directed at tanker masters.

17 Q Is there such a publication?

18 A Yes, sir, there is.

19 Q You didn't bring it here today?

20 A Yes, I did.

21 Q You have it with you?

22 A I have it with me.

23 Q Well, you didn't make that available to us.

24 A I certainly did.

25 Q You did? What's the name of it?



1           A     It's "Peril at Sea and Salvage, a Guide for  
2 Masters. It's published by the Oil Company International  
3 Marine Forum and the International Chamber of Shipping.

4           Q     Okay. What is the name of it?

5           A     "Peril at Sea and Salvage, a Guide for Masters."  
6 It should be in that stack.

7                     (Pause)

8           Q     Well, maybe you could point you to it, because I  
9 read all the publications --

10          A     I didn't give you the whole thing, if I did.  
11 There are just excerpts of it there.

12          Q     Could you point out to me where that is?

13                     (Pause)

14          A     Well, this is a portion of it. This is the  
15 proceedings from \_\_\_\_\_ where it was introduced.  
16 (Inaudible).

17          Q     But you didn't give us any of the material. All  
18 you gave us was the forward on that?

19          A     I haven't finished going through the material.  
20 Here it is. Here it is. Looks like the whole thing, to  
21 me.

22          Q     Let me --

23          A     No, it's not the whole thing. It's just the  
24 table of contents and some pertinent portions.

25          Q     Okay.

1 (Pause)

2 Now, you -- I take it you've read this article?  
3 The one that you just referred me to?

4 A Yes, I have.

5 Q And would you agree that the premise of the  
6 article is that every situation differs? Every grounding  
7 situation differs?

8 A Anyone who has ever been anywhere around a  
9 casualty situation knows that every grounding situation  
10 differs, and that's why it's very important to get all the  
11 information you can.

12 Q Right. And the situation as it exists is best  
13 known by the people who are there? They're the ones who  
14 are in the best position to evaluate what the situation  
15 is? Do you agree?

16 A If they take the action to determine what the  
17 situation is.

18 Q Okay.

19 And in that article, there's a suggestion, is  
20 there not, that, depending on the master's discretion, he  
21 can try and refloat the vessel, if he desires?

22 A After full information of the damage has been  
23 obtained, and only after the full of damage is in would it  
24 be possible to make a good --

25 Q Just so we understand each other, the thing that

1 you say that Captain Hazelwood did not do to complete this  
2 knowledge of everything that's going on, was take  
3 soundings, right?

4 A That's the primary thing that he didn't do. He  
5 did not -- he did not obtain to gain information that was  
6 available to him, and he could have gained.

7 Q And again, assuming that the soundings would have  
8 told him anything, given the condition around the ship at  
9 the time, the oil, and so on and so forth.

10 (TAPE CHANGED TO C-3650)

11 But he did do everything else that was required  
12 in order to ascertain his position, did he not?

13 A No, he didn't. He didn't -- one you skipped very  
14 quickly over --

15 Q Which one is that?

16 A Mr. Danton's book. Sounding the emergency  
17 stations and getting the crew up and counting them,  
18 available for use, and --

19 Q Okay. What you're saying is, he should have rang  
20 the general alarm, right?

21 A That's correct.

22 Q Do you remember Mr. Kunkel's testimony?

23 A Mr. Kunkel came up and said, "Captain" -- he said  
24 he was in -- at a high anxiety, maybe even in a panic  
25 situation. He said, "Captain, let's ring the general

1 alarm. Let's go over here and pull this lever and bring --  
2 get everybody up." And the captain said, "Calm down. I  
3 don't want to get anybody excited or panicked here. I've  
4 sent the third mate down to wake everybody up." Do you  
5 consider that to be imprudent?

6 A I consider it not to be prudent to sound the  
7 general alarm immediately on the PA system and address the  
8 situation and to get the people up, with their survival  
9 suits, and in a central location.

10 Q You do recall Mr. Cousins saying that he was sent  
11 around to get everybody up?

12 A That's correct.

13 Q And that was a conscious decision that the  
14 captain made at that particular time?

15 A Yes.

16 Q And you're criticizing him for not -- him now,  
17 eleven months later?

18 A I would criticize him eleven months later, or  
19 eleven minutes later, or eleven seconds later.

20 Q But you've never been aground. You haven't been  
21 the master of a ship aground?

22 A No, but I've been in some pretty difficult  
23 situations with salvage crews.

24 Q And, in those situations, did you run over and  
25 pull the general alarm?

1           A     I sure made sure I knew where my people were and  
2 that they were prepared for the emergency, and I have  
3 gotten crews up and assembled and working in the middle of  
4 the night when there was an emergency.

5           Q     Do you think Captain Hazelwood had the luxury of  
6 making sure every right command that he issued was carried  
7 out at that particular time?

8           A     I think that was his job.

9           Q     And you think he had the luxury of time, in order  
10 to bring Mr. Cousins back and say, "Mr. Cousins, I told you  
11 to go down and get everybody up. Did you make sure you had  
12 everybody up?"

13          A     I think that was his job.

14          Q     Do you have any evidence that he didn't do that?

15          A     We have evidence that he didn't get people up and  
16 assembled and --

17          Q     No. You have evidence that Mr. Cousins may not  
18 have gotten them up. You don't have evidence that Captain  
19 Hazelwood didn't get them up.

20          A     He had -- we have evidence that Captain Hazelwood  
21 did not sound the general alarm and give what I consider  
22 proper instructions in an emergency situation.

23          Q     But you do have evidence that Captain Hazelwood  
24 was aware of ringing the general alarm and made a conscious  
25 decision at that time not to panic the crew, but to get

1 them up individually?

2 A I can't imagine a crew that's sounding the  
3 general alarm is going to panic. If they are they're not  
4 much of a crew.

5 Q Well, in one of the treatises that I read that  
6 you referred me to, they -- do you recall reading something  
7 about not panicking the crew, not telling the crew members  
8 to get into the boats, because there's a tendency for them  
9 to lower the boats and get into the water before they have  
10 to? Do you remember reading that?

11 A Not telling them to get in -- I wouldn't tell  
12 them to get into the boats, no. But I don't think that  
13 sounding the general alarm is a cause for panic.

14 Q Well, Mr. Milwee, did a single crew member on  
15 this ship get hurt?

16 A No.

17 MR. COLE: Objection. Relevance.

18 BY MR. CHALOS: (Resuming)

19 Q Did anybody who's testimony you read here say, "I  
20 was frightened for my life, and Captain Hazelwood wasn't  
21 doing what he was supposed to be doing?"

22 A No.

23 Q Do you remember reading any such testimony?

24 A No. I read some testimony that said, "I was  
25 frightened for my life."

1 Q That was Mr. Kunkel, wasn't it?

2 A That was Mr. Kunkel.

3 Q Right. He came up and he said, "Captain, let's  
4 ring the general alarm. Let's put on our survival suits.  
5 Let's do this. Let's do that." And do you remember what  
6 Mr. Kunkel said?

7 A Mr. Kunkel said later that it was a measure of  
8 his inexperience. I think it was a measure of his good  
9 judgment.

10 Q Do you remember what Mr. Kunkel said after he  
11 spoke with the captain?

12 A Which time?

13 Q He said, "After talking to the captain and taking  
14 his instructions, my anxiety dissipated, I was completely  
15 at ease, and I went about my business. I went and did what  
16 the captain told me." Do you remember that?

17 A I don't remember it being quite that extreme, all  
18 this completely at ease business. If he was completely at  
19 ease on a -- stranded on a grounded tanker that was leaking  
20 cargo, he was not rational.

21 Q Well, at ease enough to go about doing his job.  
22 Do you remember him saying that?

23 A Uh-huh.

24 THE COURT: Mr. Chalos, we're not going to finish  
25 this witness --

1 MR. CHALOS: No \_\_\_\_\_.

2 THE COURT: At least one of the jurors want to  
3 take a break, and I want to take one now, too.

4 So let's recess for the day, ladies and  
5 gentlemen, and I'll see you back tomorrow morning, 8:15.  
6 Remember my former instructions, continuing \_\_\_\_\_  
7 media information as well as my reminder not to discuss  
8 this case \_\_\_\_\_ with anybody, and not form or express  
9 any opinions. See you back at 8:15 in the morning  
10 (inaudible).

11 We'll stay here for a minute. Step down.

12 (Pause)

13 THE COURT: How many more witnesses after this  
14 one?

15 MR. COLE: Three.

16 THE COURT: I thought you'd added a couple or  
17 three --

18 MR. COLE: No.

19 THE COURT: You've subtracted a couple now?  
20 Okay. So the current number is three?

21 MR. COLE: I think we have a good chance of --  
22 well, I was not going to say it, but I was hoping to say  
23 tomorrow.

24 MR. MADSON: It's never going to happen tomorrow,  
25 Your Honor. Never.



1           We're right now figuring that -- well, we were  
2 figuring before that we'd probably finish on Tuesday.  
3 We're ready for Wednesday. Now that we're geared up for  
4 Wednesday, I don't know if we can move it up or not. We  
5 can try.

6           THE COURT: I'd get geared up for Monday, just in  
7 case. If we get finished tomorrow and we have any time  
8 tomorrow, we can take up other matters, and we can take up  
9 some matters Wednesday morning, if we have to, but --

10          MR. MADSON: Well, Your Honor, just for my  
11 understanding, they have three more experts to go. Is that  
12 correct?

13          THE COURT: Are these experts that you're  
14 calling?

15          MR. COLE: Well, one of them is a trooper. Two  
16 of them.

17          THE COURT: Stogsdill and \_\_\_\_\_ and somebody  
18 else?

19          MR. COLE: Boris -- actually, it's Prowdy.

20          THE COURT: Prowdy, I'm sorry.

21          MR.                 : Prowdy and \_\_\_\_\_, right?  
22 And then Stogsdill?

23          THE COURT: Well, I'll do this much. How about  
24 if we do this. Let's finish tomorrow. We can use Monday  
25 to take care of some motions. You can gear up. We won't

1 call the jury in. If it doesn't finish tomorrow, then  
2 we'll have to have the jury come in on Monday. I'll  
3 consider releasing them early, and then we can take up  
4 other matters on Monday after the State completes. Is that  
5 fair enough?

6 MR. MADSON: We'll make every effort to be ready  
7 for Tuesday then, sir.

8 THE CLERK: Please rise. This court stands in  
9 recess subject to call.

10 (Whereupon, at 1:26 p.m., the hearing recessed.)  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



VOLUME 22

STATE OF ALASKA

IN THE SUPERIOR COURT AT ANCHORAGE

1  
 2  
 3 - - - - - X  
 4 In the Matter of: :  
 5 STATE OF ALASKA : Case No. 3ANS89-7217  
 6 versus : Case No. 3ANS89-7218  
 7 JOSEPH J. HAZELWOOD :  
 8 - - - - - X

Anchorage, Alaska

March 5, 1990

9  
 10  
 11 The above-entitled matter came on for trial by jury  
 12 before the Honorable Karl S. Johnstone, commencing at  
 13 8:56 o'clock a.m., on March 5, 1990. This transcript  
 14 was prepared from tapes recorded by the Court.

APPEARANCES:

On behalf of the State:

15  
 16  
 17 BRENT COLE, Assistant District Attorney  
 18 MARY ANN HENRY, Assistant District Attorney

On behalf of the Defendant:

19 RICHARD MADSON, Esq.  
 20 MICHAEL CHALOS, Esq.

- - -

21  
 22  
 23  
 24 PRO-TYPISTS, INC.  
 25 Professional Transcription Service  
 (202) 347-5395

C O N T E N T S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

WITNESSES

DIRECT CROSS REDIRECT RECROSS

STATE

William Milwee - Resumed		4	24	38
			47	48
William Vorus	50	128		

- - -

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

E X H I B I T S

STATE'S

FOR IDENTIFICATION IN EVIDENCE

159

84

DEFENDANT'S

AK

4

6

AL

4

AM

4

AN

107

- - -

P R O C E E D I N G S

(Start Tape C-3650)

(Defendant's Exhibits Numbers  
AK, AL, and AM were marked for  
identification.)

THE COURT: You may be seated.

Are you folks ready for the jury now?

MR. COLE: Yes.

MR. CHALOS: Yes.

THE COURT: Mr. Cole, I can't control volcanos, I  
can't control influenza, but there is no excuse for you to  
forget things. So please don't let that happen again. It's  
-- you've tied up a half an hour of valuable time. Let's  
get the jury.

(Whereupon, the jury entered the Courtroom.)

THE COURT: Good morning, ladies and gentlemen.  
I'm sorry we're getting a late start. We'll try not to let  
that occur again.

We'll resume with the testimony. And sir, you are  
still under oath.

Whereupon,

**WILLIAM MILWEE**

having been called as a witness by counsel for the State of  
Alaska, and having been previously duly sworn by the Clerk,  
was further examined and testified as follows:

## CROSS EXAMINATION (Resumed)

1  
2 BY MR. CHALOS:

3 Q Good morning, Mr. Milwee.

4 A Good morning, Mr. Chalos.

5 Q You recall when we left off on Thursday, we spoke  
6 a little bit about soundings that were taken around the  
7 vessel sometime either the next day or the day after that.  
8 Do you remember that?

9 A Yes.

10 Q And I asked you about the depth of water behind  
11 the vessel and you said immediately behind the vessel there  
12 was sufficient water. Do you recall that?

13 A Yes.

14 Q All right.

15 Let me show you what has been marked into evidence  
16 as Exhibit -- or introduced into evidence as Exhibit 95, and  
17 I will show you what I have marked for identification as  
18 exhibit AK, which is Exhibit 95 in its normal size. Exhibit  
19 95 appears to have been shrunk a little bit.

20 Now, taking a look at what I have marked as  
21 Exhibit AK and Exhibit 95, can you tell how far back these  
22 soundings were taken that indicate there was at least  
23 anywhere between 70 foot of water and 120 foot of water?

24 A Appears to be about 150 feet -- wait a minute,  
25 that's 40.



1 Q Upside down.

2 A Well, used to looking at the bow at the right.  
3 That's the only thing. There's a line indicates this first  
4 line of soundings is about 180 feet out and this one is  
5 about 150 feet out.

6 Q And it doesn't appear to have any further  
7 soundings to the back of that?

8 A None further than that.

9 Q Okay.

10 But at least from what you can see here to 180  
11 feet out, he's got anywhere between 70 foot of water and  
12 112?

13 A That's correct.

14 Q Okay.

15 MR. CHALOS: Your Honor, at this time I would like  
16 to offer Exhibit AK, which is 95 in a bigger form, into  
17 evidence. 95 has been shrunk down, it's difficult to read.

18 MR. COLE: No objection.

19 THE COURT: Admitted.

20 (Defendant's Exhibit Number AK  
21 was admitted in evidence.)

22 BY MR. CHALOS: (Resuming)

23 Q Now, Mr. Milwee, have you looked at any charts to  
24 find out -- any detailed charts of soundings to find out  
25 where this vessel was at the time of the grounding and how

1 much water she had behind her?

2 A No -- no fine grains charts, no.

3 Q Now, you said on Thursday that one of the things  
4 that you believe Captain Hazelwood did wrong was not to take  
5 soundings after the grounding.

6 A That's correct.

7 Q Where do you get that information from, sir?

8 A I'm sorry, I don't understand what you've asked  
9 me.

10 Q Well, you've read the testimony in this case, have  
11 you not?

12 A That's correct.

13 Q You've read Mr. Cousins, you've read Mr. Kunkel, I  
14 take it you've read some of the other crew members?

15 A That's correct.

16 Q Do you recall seeing anywhere any crew member said  
17 that no soundings were taken after the grounding?

18 A I don't recall anywhere where soundings were  
19 taken. And there's no record of soundings --

20 Q So you're speculating that no soundings were  
21 taken?

22 A -- soundings being taken.

23 Q You're speculating?

24 A Yes.

25 Q Now, you also said on Thursday that you believe

1 that the captain was trying to get this vessel off the reef  
2 by going ahead, is that right?

3 A Yes, I did.

4 Q In your career as a salvage master and your Navy  
5 career where you were involved with groundings, have you  
6 ever gotten a vessel off a reef by going ahead?

7 A Yes, I have.

8 Q Straight ahead?

9 A No, the particular vessel, we took it off forward,  
10 but we took it off --

11 Q On a high tide?

12 A Of course on a high tide.

13 Q After you took some cargo off?

14 A After we took a lot of cargo off.

15 Q And after you pumped water out of the vessel?

16 A No, we didn't have -- we didn't -- that wasn't  
17 necessary.

18 Q But in any event, you lightened the vessel before  
19 you went forward?

20 A Yes.

21 Q And in your career as a salvage master, did you  
22 ever get a vessel off the ground by going astern?

23 A Oh, yes.

24 Q And that's the prescribed method for getting it  
25 off?

1           A     Not that there is no prescribed method for getting  
2 a ship off. It's dependent on the particular conditions of  
3 the stranding.

4           Q     In your career have you ever kept a vessel on the  
5 strand, on the ground, by going ahead until more favorable  
6 conditions came about?

7           A     I have not personally, no.

8           Q     But you've seen it done?

9           A     Yes.

10          Q     Now you said also on Thursday in response to Mr.  
11 Cole, that the captain used, in your opinion, too much force  
12 after the grounding, which you faulted him for. Do you  
13 recall?

14          A     I don't think I phrased it quite like that. I  
15 said he -- it was indicative that he was trying to get the  
16 vessel off because he did use a lot of force.

17          Q     All right, let's talk about a lot of force. Have  
18 you done any analysis of the power curves of this engine?

19          A     No, I haven't. I have just done some very rough  
20 calculations on that.

21          Q     Do you know what full power -- what kind of  
22 horsepower this engine had at full power?

23          A     Yes, 31,600.

24          Q     Do you know what kind of horsepower this engine  
25 had at 55 rpms?

1 A No, not specifically.

2 Q Well, if I told you that it had 8800 horsepower at  
3 55 rpm, does -- does that in any way comport with your  
4 knowledge of slow speed diesel engines?

5 A That seems reasonable. But I haven't seen the  
6 curves for this particular engine.

7 Q Well, if -- I want you to assume for the moment  
8 that 8800 horsepower, 9000 horsepower at the most, was all  
9 that Captain Hazelwood used. If your scenario and your  
10 hypothesis is correct, wouldn't you think that at some point  
11 he pressed a button and let this engine go full ahead if he  
12 was trying to get it off that way?

13 A Not necessarily.

14 Q You don't think he would do that?

15 A Not necessarily.

16 Q Now you know that the captain, according to what  
17 you testified, ran his engine ahead for about an hour at  
18 various speeds, the highest being full maneuvering speed, or  
19 55 rpms. Do you recall that?

20 A That's correct.

21 Q You would -- wouldn't you agree that in doing so  
22 for an hour, he realized that he wasn't moving at all  
23 forward?

24 A Would you ask that again, please?

25 Q Yes.

1           You know that the captain used his engine for  
2 about an hour in the forward direction.

3           A     Yes.

4           Q     And you also know that the vessel didn't move at  
5 all on the basis of what we know today.

6           A     That's correct.

7           Q     The captain -- we can assume, can we not, that the  
8 captain also knew that at that time? He could see that his  
9 vessel wasn't moving?

10          A     Yes. And it's not at all unusual not to move for  
11 a period of time like that.

12          Q     Okay.

13                If in fact the captain was trying to get the  
14 engine off, isn't it logical -- I mean the vessel off, isn't  
15 it logical that at some point he is either going to use full  
16 power or he is going to try and back up? Wouldn't you  
17 agree?

18          A     No, I wouldn't, not necessarily at all.

19          Q     Because it doesn't fit your theory?

20          A     No, it doesn't -- it's just not necessarily what  
21 would happen.

22          Q     Sir, in those situations where you are trying to  
23 get a vessel off the strand, when you went forward and  
24 nothing happened, did you back up?

25          A     Not necessarily. It depends on the conditions of

1 the stranding.

2 Q But you have done that, haven't you? You went a  
3 little forward, didn't go anywhere, you back up a little  
4 bit, trying to get it off?

5 A No.

6 Q Never in your career?

7 A No.

8 Q Even though you have written about that?

9 A That's true. It's --

10 Q Okay.

11 Now, you said that if the captain was in fact  
12 trying to get the vessel off -- trying to keep the vessel on  
13 the reef, in your opinion he should have kept the engines  
14 running up until high tide and a little bit beyond it?

15 A Absolutely.

16 Q Did you do any calculations to find out what the  
17 difference of tide was between the moment he shut down his  
18 engine at 1:40, and 2:00 o'clock, when high tide came in?

19 A Yes, I did.

20 Q What was the difference?

21 A It was trivial.

22 Q It was an inch, wasn't it?

23 A I would have to look it up, I don't -- but it was  
24 a very small distance.

25 Q So the fact that he shut his engine down at 1:40

1 when the tide had maybe another inch to go, wouldn't have  
2 made any difference at all, would it?

3 A Well, if it was necessary for him to keep the  
4 engines running to keep on the beach during the rise of the  
5 tide for the previous hour, it would also be necessary for  
6 him to run the engines to keep on the beach during the fall  
7 of the tide and during the stand of the tide at high water.

8 Q Mr. Milwee, you said you read mr. Kunkel's  
9 testimony?

10 A Yes, I did.

11 Q Do you recall Mr. Kunkel saying that about 1:15,  
12 1:20, 1:30, the vessel took a list to starboard, and then  
13 settled down on the reef?

14 A I remember him saying it settled. I don't  
15 remember what time it was.

16 Q Well, it was about 1:30. Do you remember that  
17 testimony?

18 A I remember him saying it settled.

19 Q Okay.

20 And do you remember him saying to the captain,  
21 we're not going any place, and the captain saying, that's  
22 right, we're not going any place?

23 MR. COLE: Objection, your Honor.

24 BY MR. CHALOS: (Resuming)

25 Q Do you remember that testimony?



1 MR. COLE: I object to the form of the question.  
2 I don't believe that that is what the testimony was.

3 THE COURT: Objection --

4 MR. CHALOS: I'll withdraw the question, your  
5 Honor.

6 BY MR. CHALOS: (Resuming)

7 Q Do you remember Mr. Kunkel saying that the captain  
8 ordered him at that point to be ready to ballast down,  
9 sometime between 1:00 and 1:30?

10 A I remember him saying that he was told to look at  
11 his options and look at the ability to ballast down.

12 Q That's right, that's correct; that's the  
13 testimony.

14 Now is that consistent with somebody trying to get  
15 off the reef, if he is looking at an option to ballast down  
16 at that point?

17 A It's consistent with somebody looking at all their  
18 options.

19 Q So you'll agree that the captain at that point was  
20 looking at all his options?

21 A Well, he was looking at his options, yes.

22 Q Now, you were asked to write a report by the State  
23 of Alaska?

24 A Yes, I was.

25 Q Specifically by the DA's office?

1 A Yes, I was.

2 Q And you did write such a report on February 12th?

3 A Yes, I did.

4 Q Let me show you what I have marked as Defendant's  
5 Exhibit AB -- AM, rather, for identification. Is that the  
6 report you wrote for the State?

7 A Yes, it is.

8 Q And this report was written in response to a  
9 request that had been made to you in early February by the  
10 DA's office?

11 A That's correct.

12 Q Was the first written opinion that you gave them?

13 A Yes, it is.

14 Q Had you given them any opinion prior to this?

15 A I don't recall specifically. We probably had  
16 talked on the phone about it.

17 Q Well, let me show you what I have marked for  
18 identification as Defendant's Exhibit AL, which is a letter  
19 dated February 2nd, 1990, from Mr. Adams, who you know as an  
20 Assistant District Attorney --

21 A Yes.

22 Q -- to Bill Milwee.

23 Do you remember receiving that letter?

24 A Yes, I do.

25 Q And was it in response to that letter that you

1 wrote your report of February 12th?

2 A Yes, it was.

3 Q Now, you see in the second paragraph of this  
4 letter of February 2nd --

5 A Yes, I see the second paragraph, yes.

6 Q Are you with me?

7 Did you render an opinion that in certain  
8 circumstances it is appropriate to immediately remove a  
9 stranded vessel?

10 A Yes.

11 Q And did you also render an opinion that  
12 conversely, in some circumstances it is imperative that the  
13 vessel remain firmly aground?

14 A Yes.

15 Q And did you also render an opinion that it may be  
16 necessary to run the vessel at slow ahead to ensure that it  
17 doesn't go anywhere?

18 A Yes.

19 Q Now, sir, 8800 horsepower, when you have 31,000  
20 available, is akin to a slow ahead, isn't it?

21 A Not when you ring up full ahead, no. Slow ahead  
22 is slow ahead.

23 Q Well, 55 rpms in terms of the power curve on the  
24 slow speed diesel engine is equivalent to a slow ahead or  
25 just a little bit higher, isn't it?

1 A No, I'm not going to agree with that.

2 Q In any event, you -- in any event, you rendered an  
3 opinion here that under some circumstances it may be  
4 necessary to run the vessel slow ahead to keep it on the  
5 reef, didn't you?

6 A That's correct.

7 Q Okay.

8 Now, in your opinion of February 12th, you said --  
9 you rendered this opinion, didn't you. Stranded vessels  
10 usually refloat along the reciprocal of the course on which  
11 they grounded. They refloat much less frequently by passing  
12 over a reef or a shoal in deep water -- or into deep water.  
13 Is that correct?

14 A That's true.

15 Q Now what do you mean by stranded vessels usually  
16 refloat --

17 MR. COLE: Judge, I object and ask for under Rule  
18 106 that the whole thing be read. I think Mr. Chalos is  
19 taking this out of context and I would ask that he have to  
20 read the next sentence.

21 MR. CHALOS: Well, I'll be happy to, your Honor.

22 BY MR. CHALOS: (Resuming)

23 Q Why don't you read your paragraph 4; you wrote it.

24 A I'll read the entire paragraph.

25 Q Go ahead.

1           A     Stranded vessels usually refloat along the  
2 reciprocal of the course on which they grounded. They  
3 refloat much less frequently by passing over a reef or shoal  
4 into deep water. Until the conditions of the stranding are  
5 known, any refloating attempt is foolhardy. Before defining  
6 the way that a ship lies upon the ground and the amount of  
7 lost buoyancy, a refloating attempt with engines and tidal  
8 rise is a blind attempt.

9           Q     Now, before we get into the whole paragraph, what  
10 do you mean by stranded vessels usually refloat along the  
11 reciprocal of the course on which they grounded?

12          A     Well, it's much more frequent that a stranded ship  
13 will strand headed into shallow water, and the logical way  
14 to remove her is to take her out the way that she went in,  
15 just --

16          Q     By backing up?

17          A     Back her off in the direction in which she -- in  
18 the opposite direction in which she was going when she  
19 grounded.

20          Q     In this case, Captain Hazelwood never used the  
21 engine astern, right?

22          A     Wasn't appropriate in this case.

23          Q     Now, with respect to the rest of your opinion  
24 there in paragraph four, you wrote that because the State  
25 told you to write that, isn't that true?

1 A No, sir, I did not.

2 Q You did not? Let's read something here. Look at  
3 page two of exhibit AL, look at the third paragraph,  
4 starting after extensive review. Would you please read that  
5 into the record.

6 A After extensive review --

7 MR. COLE: I object; it's hearsay.

8 MR. CHALOS: Your Honor, this is for impeachment  
9 purposes.

10 THE COURT: Objection overruled.

11 BY MR. CHALOS: (Resuming)

12 Q Go ahead.

13 A After extensive review of the relevant evidence,  
14 it is our view, Sam Adams, Brent Cole, retired tanker  
15 Captain Bob Beevers, Mary Ann Henry and State Trooper Jim  
16 Stogsdill, that from the time Hazelwood returned to the  
17 bridge after the grounding, at approximately 12:10 p.m.  
18 until the --

19 Q a.m.

20 A -- a.m., until the engines were shut down at 11:41

21 --

22 Q 1:41.

23 A -- 1:41, Hazelwood's actions were designed solely  
24 to remove the vessel from the reef.

25 Q Now this is the District Attorney, the Assistant

1 District Attorney telling you.

2 A This was telling me what their opinions are.

3 Q Uh-huh.

4 Now, when was the last time Mr. Adams, Mr. Cole,  
5 Miss Henry and Sergeant Stogsdill commanded a vessel that  
6 went aground?

7 MR. COLE: Objection; relevance.

8 THE COURT: Sustained.

9 BY MR. CHALOS: (Resuming)

10 Q Did you ask -- did you ask Mr. Cole and Miss  
11 Henry, Sergeant Stodgegill or Mr. Adams on what they based  
12 their opinion?

13 MR. COLE: Your Honor, it's Sergeant Stogsdill.

14 MR. CHALOS: I beg your pardon; sorry.

15 BY MR. CHALOS: (Resuming)

16 Q Did you ask them on what they based their opinion  
17 on?

18 A I did not and I did not give any value to this  
19 statement. I formed my opinion independently of that.

20 Q Now would you read the rest of the paragraph.

21 A Our conclusion is based on the absolute lack of  
22 any evidence that Hazelwood was trying to do anything else  
23 but remove the vessel from the rocks, from Hazelwood's  
24 statement to the Coast Guard to that effect, from Greg  
25 Cousins' statement that Hazelwood gave a series of rudder

1 commands designed to remove the vessel from the location of  
2 the vessel on the western edge of the reef, from Hazelwood's  
3 statement to the Captain of the Port at approximately 1:00  
4 p.m. about his attempts to free the vessel, and from FBI  
5 statements and trooper interviews of Maureen Jones, Chief  
6 Mate Kunkel and Helmsman Kagan.

7 Q Now, until you got this letter, exhibit AL, you  
8 hadn't rendered any opinion, had you?

9 A No, I had not.

10 Q And you say this didn't influence you in the  
11 least?

12 A Not in the slightest.

13 Q Yet when we look at your letter of February 12th,  
14 you write the exact same opinion that they suggested to you.

15 A I formed that opinion completely independently.

16 Q After you got the letter of February 2nd?

17 A Well, I got the letter after -- I believe before I  
18 got the letter.

19 Q But you didn't write to them anything about that?  
20 The first time you wrote was on February 12th after you  
21 received the letter of February 2nd, is that right?

22 A That's correct.

23 Q They also suggested to you, and you made that a  
24 part of your letter of February 12th, that you express an  
25 opinion that the vessel would have capsized if she came off



1 the reef, isn't that true? Look at the last paragraph of  
2 page two. Would you read the first sentence, please?

3 A In your report, please address the following  
4 areas.

5 Q Go ahead.

6 A Would a reasonable captain in the same situation  
7 recognize that actions such as Hazelwood's risk causing the  
8 vessel to come free from the reef and possibly capsizing or  
9 sinking.

10 Q And you wrote in paragraph 5 (b) of your letter of  
11 February 12th, refloating the ship before defining the  
12 condition of the vessel could result in capsizing, sinking,  
13 or catastrophic structural failure of the hull girder. Am I  
14 correct?

15 A That's correct.

16 Q Okay.

17 And then you spoke about the vessel grinding into  
18 the rock. You remember that?

19 A That's correct.

20 Q Remember you had the model and you were showing  
21 the jury that the vessel would grind into the rock.

22 A Uh-huh.

23 Q They told you to say that too, didn't they?

24 A They didn't tell me to say anything, sir.

25 Q Well, continue on then please, in that paragraph,

1 starting with the word, related.

2 A Related to the immediately preceding question is  
3 the related question of whether a reasonable captain would  
4 recognize that grinding a vessel into a rocky reef could  
5 increase the possibility that the vessel would break up,  
6 either at the time the rudder commands were being given or  
7 upon a falling tide..

8 Q Then you wrote in paragraph 5 (c) of your letter  
9 of February 12, working the ship on a hard bottom is likely  
10 to cause additional damage and increase the possibility of  
11 catastrophic structural failure.

12 A That's correct.

13 Q And it's true also, isn't it Mr. Milwee, that they  
14 told you what evidence to read and what evidence to ignore,  
15 didn't they?

16 A They suggested. They did not tell me and I didn't  
17 necessarily take their suggestions.

18 Q You think it is proper in your business as an  
19 expert to have the party you're working for tell you what  
20 evidence to read and what evidence not to read?

21 A It may or may not be proper, but it is certainly  
22 proper for me to ignore their suggestions.

23 Q Well, they told you, looking at the first  
24 paragraph of page three, also, you should not put much  
25 weight into Second Mate LeCain's NTSB testimony, that the

1 crew was standing by for quick action. Remember that?

2 A I see that.

3 Q Did you ask them, why should I pay attention to  
4 what LeCain said? He was there.

5 A No, I ignored it.

6 Q But you did give an opinion that the crew wasn't  
7 prepared to deal with this casualty, didn't you?

8 A Yes, sir.

9 Q And that is contrary to what Mr. LeCain said at  
10 the NTSB.

11 A That's not contrary to what other people said,  
12 though.

13 Q And your opinion is consistent with the State  
14 telling you to ignore his testimony.

15 A That's true, but I didn't give any credence to  
16 what the State suggested.

17 Q And yet your report of February 12th, 1990, goes  
18 right down the line as to what the State told you to say.  
19 And you say --

20 A They did not tell me to say anything, and I did  
21 not blindly do what the State suggested. I arrived at the  
22 opinions independently, sir.

23 Q The exact same opinions that the State suggested  
24 to you you came to independently?

25 A I think if you bring out the whole thing you will

1 notice there are a couple of things that I did not address  
2 in my report.

3 Q Such as?

4 A The next to last paragraph on the third page,  
5 lastly, would a reasonable captain drink even one alcoholic  
6 beverage just one hour before assuming command in violation  
7 of Coast Guard regulations.

8 Q And you said in paragraph 6 (e) of your letter of  
9 February 12th, I would expect the master of a tank ship that  
10 is aground and spilling oil to, (e) do nothing to impair his  
11 ability to perform at his highest level of competence. They  
12 didn't suggest that to you either, did they?

13 MR. CHALOS: I have no further questions, your  
14 Honor.

15 REDIRECT EXAMINATION

16 BY MR. COLE:

17 Q Mr. Milwee, when did you get hired on this matter?

18 A In August of 1989.

19 Q And when did you receive the packet of information  
20 concerning this matter?

21 A January 1990.

22 Q Why was that? why did you not receive it until  
23 January 1990?

24 A I was given to understand that you wanted to make  
25 sure that the evidence was not tainted in any way.

1 Q And that was a decision that was made by the State  
2 of Alaska?

3 A That's correct.

4 Q And were you given any instructions about how to  
5 proceed, as far as whether you could review other newspaper  
6 articles, or watch TV or anything else about how this -- the  
7 facts of this case, when you were hired?

8 A None whatsoever.

9 Q What do you mean by that?

10 A I mean I was not restricted in any way with the  
11 information that I could review or look at or have access  
12 to.

13 Q Now, in the memorandum that was sent to you from  
14 Mr. Adams, were you given suggestions as far as conclusions  
15 to reach, or were you asked to reach opinions on issues?

16 A I was asked to reach opinions on issues. They  
17 were put in the form of questions that I should answer.

18 Q Were there any opinions other than the ones set  
19 forth in the one in paragraph number -- page number 2,  
20 paragraph number 3?

21 A None that I recognized as such.

22 Q Well, let's talk about the opinions that are in  
23 that. Did you see any evidence whatsoever in anything that  
24 you read, heard or saw, that would indicate that Captain  
25 Hazelwood was trying to put this vessel on the reef?

1 A I didn't --

2 MR. CHALOS: Objection, your Honor. Objection,  
3 your Honor; he's leading the witness.

4 THE COURT: Objection overruled.

5 THE WITNESS: I did not.

6 BY MR. COLE: (Resuming)

7 Q In fact, what did Captain Hazelwood say to the  
8 Coast Guard?

9 A Captain Hazelwood told the Coast Guard he was --

10 MR. CHALOS: Objection, your Honor.

11 THE WITNESS: -- attempting to get the vessel --

12 MR. CHALOS: Objection.

13 THE COURT: Just a minute, just a minute.

14 THE WITNESS: -- off the reef.

15 THE COURT: What's your objection?

16 MR. CHALOS: He's leading the witness.

17 THE COURT: No, he's not. Objection overruled.

18 BY MR. COLE: (Resuming)

19 Q What did Captain Hazelwood tell the Coast Guard at  
20 1:10 a.m.?

21 A That he was attempting to refloat the vessel.

22 Q How many times did he say that?

23 A Oh, several.

24 Q And did you read the Trooper interview that  
25 Captain Hazelwood had with Trooper Fox?

1 A Yes, I did.

2 Q What did he tell Trooper Fox he was trying to do?

3 MR. CHALOS: Your Honor, that's hearsay. That's  
4 no foundation that he's asking did he base his opinion on  
5 what he read or what he heard. He's asking him to submit it  
6 as the truth of the matter.

7 THE COURT: Objection overruled. This is in  
8 support of his opinion.

9 And stand behind the podium instead of wandering  
10 around, Mr. Cole.

11 BY MR. COLE: (Resuming)

12 Q What did he tell the Trooper?

13 A He told the Trooper he was trying to refloat the  
14 vessel, and I believe he used the word, extricate.

15 Q What does extricate mean to you?

16 A Remove the vessel, clearly.

17 Q Did you read anything, in anything Captain  
18 Hazelwood said, that would indicate he felt there was a  
19 possibility of that vessel coming off the reef, and that he  
20 took actions to stop that?

21 MR. CHALOS: I object to the form, your Honor.

22 THE COURT: Mr. Cole?

23 MR. COLE: I'll rephrase it.

24 BY MR. COLE: (Resuming)

25 Q Anything that you saw that you looked at that

1 would indicate that Captain Hazelwood was afraid of this  
2 vessel coming off the reef?

3 A There was nothing in anything that I saw that  
4 indicated there was any chance of the vessel coming off the  
5 reef through the forces of nature or anything of that --  
6 accidentally or anything of that nature.

7 Q Mr. Chalos asked you about the fact that this  
8 vessel didn't go astern. Does the fact that this vessel did  
9 not go astern change your opinion on what Captain Hazelwood  
10 was trying to do?

11 A Not at all.

12 Q Why is that?

13 A Because the action was consistent, totally  
14 consistent with attempting to refloat the vessel.

15 Q Why is that?

16 A Because he was using the rudder, he was using the  
17 engines. It was like he was aground on mud and trying to  
18 slither off. That's just the action -- that's just what you  
19 would do to refloat a vessel ahead like that. And it was an  
20 action that was consistent with a ship grounded on a reef  
21 where there was clear water out ahead of him.

22 Q In your article, you talk about reasons why you  
23 back off a reef when you get stuck, and you think when Mr.  
24 Chalos asked you, you indicated that that would be the kind  
25 of situation where you would run into a shallow area from a



1 deeper area, is that correct?

2 A That's correct.

3 Q What about the hypothetical of, you've just run  
4 over a rock and you have shallow water behind you and you've  
5 got deep water in front of you. What would you expect a  
6 master's actions to be then?

7 A That is the type of action where you take the  
8 vessel off in a forward direction. It's those -- the rare  
9 actions that I referred to in my report.

10 Q And Mr. Chalos indicated that -- asked you about  
11 whether or not this vessel was not put on sea speed. Does  
12 that indicate to you that he was not trying to get it -- use  
13 full power. Does the fact that this vessel was not put on  
14 load program up and put up to, say, 78 or 80 rpm, change  
15 your opinion about what Captain Hazelwood was trying to do?

16 A No, not at all.

17 Q Why is that?

18 A Because they -- the engine's running under  
19 conditions for which it's not defined, and it is very likely  
20 it is going to overheat.

21 Q And did you see any evidence that the engine  
22 overheated at any point?

23 A I'm not certain that I remember specific evidence  
24 to that effect now.

25 Q Now, Mr. Milwee, I'd like you to take a look at

1 the times up there between 12:38 and 1:41.

2 Now, do you see the time around 1:20? If 10:00  
3 a.m. is 1:00 o'clock?

4 A Yeah, okay; yeah. Yes.

5 Q Now, is there anywhere in there that you see  
6 action consistent with someone trying to keep a vessel on  
7 the reef?

8 A No.

9 MR. CHALOS: Objection, your Honor. No  
10 foundation.

11 THE COURT: He can give his opinion. Objection  
12 overruled.

13 BY MR. COLE: (Resuming)

14 Q I'm sorry, I didn't hear you, Mr. Milwee.

15 A No, I see the heading being changed frequently, to  
16 -- oh, 13, 14 degrees.

17 Q And would you describe, this point at 1:20 right  
18 here, this heading changes, which way is the vessel turning  
19 now?

20 A Well, the vessel is turning -- let's see, he's  
21 down in this quadrant. He's turning to -- to port.

22 Q Turning to port. That's to the left, right?

23 A That's correct.

24 Q And he was grounded on his starboard side, is that  
25 correct?

1 A That's correct.

2 Q So he was turning away from the reef?

3 A That's correct.

4 Q And would you describe the number of turns that he  
5 made after that?

6 A Oh, he -- he zigs back slightly to the right,  
7 turns to the left again, to the right again, a couple of  
8 degrees to the left and then back to the right and stops his  
9 engine, stops maneuvering.

10 Q Anything in that section of that course recorder  
11 that would indicate to you that Captain Hazelwood was trying  
12 to keep this vessel on the reef?

13 A No, there's not.

14 Q And if he was trying to keep it on the reef and he  
15 was trying to use the minimum force necessary, what would  
16 that course recorded look like?

17 A It would be considerable less swing than it shows  
18 there.

19 Q Would there be turns right and left?

20 A There would probably be an indication that he  
21 started -- his heading started to drift off in a response to  
22 it, but it wouldn't be a change as drastic as is shown there  
23 in the recorder. Certainly shouldn't be.

24 Q If you were going to slide off a reef and you were  
25 hard on your starboard side, where would you be afraid of

1 sliding off towards? Your port side or your starboard side?

2 A Obviously to port. You know your port side is  
3 probably not aground. If you know your starboard side is  
4 aground and you know you port side isn't, you're going to  
5 slide off to port.

6 Q And if you wanted to keep yourself from sliding  
7 off when your port side was not aground and your starboard  
8 side was, would you turn to the port?

9 A No, you --

10 Q Or would you turn to the starboard?

11 A You would probably carry a little constant right  
12 rudder.

13 Q To turn into --

14 A To turn into the grounded area. If you were  
15 grounded forward of your pivot point.

16 (Pause.)

17 Q Now, I'd like to talk for a second about the IG  
18 system on this vessel. Would you explain to the jury why it  
19 would not have been a good idea to seal the IG system?  
20 Before we start, what does the IG system do, what's its  
21 purpose?

22 MR. CHALOS: Your Honor, I think this goes beyond  
23 cross. I don't think I brought up the IG system at all with  
24 this witness.

25 MR. COLE: Your Honor, he talked about sealing.

1 THE COURT: I think you did. I think there was an  
2 inquiry about that.

3 MR. CHALOS: Well, I'll check my notes -- it's  
4 been so long. But I don't remember bringing it up with this  
5 witness.

6 THE COURT: Well, I'll let Mr. Cole inquire, and  
7 you'll have a chance after his inquiry. I think you did  
8 bring it up, Mr. Chalos.

9 BY MR. COLE: (Resuming)

10 Q What does the IG system do on this vessel?

11 A The purpose of the IG, or inert gas system, is to  
12 put an inert gas, a low oxygen content gas, into the tanks,  
13 the cargo tanks, to reduce the danger of fire and explosion.  
14 To reduce the amount of oxygen in the tanks so that the  
15 mixture of cargo fumes and atmosphere in the tanks is below  
16 the limits at which it will burn or possibly explode. It  
17 has been a great boon to tanker operations. It has reduced  
18 tanker explosions tremendously over the last ten, fifteen  
19 years.

20 Q And Mr. Chalos talked to you about closing off the  
21 IG system in order to make this vessel, I guess, not lose  
22 any more buoyancy. Do you remember him talking about that?

23 A That's correct.

24 Q What are the problems associated with taking an  
25 action like that?

1           A     Well, one problem is timeliness, that it's -- the  
2 loss of cargo is very rapid from damage in the bottom. But  
3 more significant loss is that if you do that, you disable  
4 the IG system, you are unable to put any more inert gas in a  
5 tank, and this is at a time when the cargo level in the tank  
6 has been dropping rapidly and the vacuum breaker system on  
7 the tank which prevents a vacuum from forming has begun to  
8 function and air is pouring into the tank. So you've got an  
9 atmosphere in the tank that is 8 percent oxygen, you begin  
10 to mix air with it at 21 percent oxygen, and the percentage  
11 goes up and there becomes a danger of fire and explosion  
12 that didn't exist with the IG system functioning and the  
13 tank sealed.

14           Q     On -- when -- when we talked last week about  
15 soundings, how difficult is it to take these soundings --  
16 would it have been to take these soundings on the Exxon  
17 Valdez that night?

18           A     It's -- it's difficult to quantify that. It  
19 wouldn't have been simply a matter of walking around and  
20 making the measurements, but it would have been certainly  
21 within the possibility for an AB and a mate to take these  
22 soundings and to take them effectively.

23           Q     And where would you have taken these soundings?  
24 Where physically on the boat? On the ship?

25           A     Oh, all around. Completely around the vessel. At

1 short intervals. Short intervals being, oh, probably 25  
2 feet the first shot and then refine that later and when you  
3 -- if there was an area that you found was aground, you  
4 would certainly take those at more frequent intervals.

5 Q Well, I guess the last consideration -- the last  
6 thing -- there's two other things. Why -- why does a tanker  
7 captain have to take any throttle or rudder action at all  
8 after a grounding? What is the necessity or is there any?

9 MR. CHALOS: Your Honor, I object, unless some  
10 foundation is laid. What situation are we talking about?  
11 This one? Grounding in mud, grounding on coral? Ahead,  
12 astern? There's just not enough foundation.

13 THE COURT: Mr. Cole, you asked about three  
14 questions there, too, and the form of each of them was  
15 objectionable, so if you can rephrase it.

16 BY MR. COLE: (Resuming)

17 Q Well, let's just talk generally. Why is it that a  
18 tanker needs to come off a reef? Or why is it that  
19 immediate action has to be taken, or is there a reason?

20 A Depends on the condition of the grounding. In  
21 most cases, in many cases, absolutely no action is required.  
22 In all cases, no action should be taken until the condition  
23 of the grounding is reasonably well defined. It is  
24 particularly undesirable to take any action when the ship  
25 is aground on rock.

1 Q And if you were told that you had damage in center  
2 cargo tanks 1 through 5, port -- or starboard cargo tanks 1,  
3 3 and 5, and that you were taking on water in your ballast  
4 tanks on the starboard side, 2 and 4, and that within a half  
5 an hour you had lost as hundred to a hundred and fifteen  
6 thousand -- or you could not account for a hundred to a  
7 hundred and fifteen thousand barrels, what would that tell  
8 you about your ship?

9 A It tells you --

10 MR. CHALOS: Objection, your Honor. This man  
11 hasn't been qualified as a master of a ship. He said he  
12 doesn't have any experience as a master. He expertise is in  
13 salvage, not as a captain of a vessel.

14 MR. COLE: He's on damaged tankers all over the  
15 world, your Honor. I think he should be able to evaluate  
16 what impact that effect has on his assessment of the  
17 stability of that vessel.

18 THE COURT: The objection goes to the weight, Mr.  
19 Chalos, not the admissibility. Overruled.

20 THE WITNESS: Would you repeat the question,  
21 please.

22 BY MR. COLE: (Resuming)

23 Q If you were told that your center cargo tanks 1  
24 through 5 were damaged, that your starboard cargo tanks 1, 3  
25 and 5 were damaged, that your ballast tanks 2 and 4 on your



1 starboard side were taking in fluid, and that you could not  
2 account for between a hundred and a hundred and fifteen  
3 thousand barrels of crude oil, and all this information was  
4 relayed to you within the first twenty to thirty minutes  
5 after the grounding, what would that tell you about your  
6 tanker?

7 A I would know that I had a very badly damaged  
8 tanker. I would be particularly concerned about the  
9 flooding into the ballast tanks and the loss of buoyancy  
10 that would come about from that flooding. I would realize  
11 that I should stay right where I was and not attempt to move  
12 that ship, because there was a danger, because I am losing  
13 buoyancy, and because I have a very badly damaged ship that  
14 if it did come afloat, it would sink, and I would be much  
15 better off securing that ship in that position where it  
16 obviously can't sink very far.

17 Q And in that situation, what would have hurt --  
18 what would have been lost by simply doing that? By simply  
19 securing the vessel and waiting?

20 A Nothing.

21 Q And by attempting to remove the vessel, what was  
22 risked?

23 A The possibility that it might -- if it did come  
24 off, the vessel would be in a very -- a very dangerous  
25 situation. I have -- in a similar -- in a situation where a

1 tanker suffered damage to one of the tanks that was -- one  
2 of its buoyancy tanks, we put that thing aground  
3 immediately. We did just the opposite. We put -- we  
4 deliberately put it aground to prevent the ship from sinking  
5 in deep water.

6 Q And did you see any indication from anything that  
7 Captain Hazelwood was attempting to secure that vessel  
8 between 12:38 and 1:41?

9 A No, other than looking at his options and having  
10 the mate look at his options, there was no positive action  
11 to secure the vessel.

12 Q And all of the things that you saw were consistent  
13 with him attempting to get off?

14 A That's correct.

15 MR. COLE: I have nothing further.

16 RE CROSS EXAMINATION

17 BY MR. CHALOS:

18 Q Mr. Milwee, when you are hired as a salvage expert  
19 and you come on board the ship, you are always working under  
20 the supervision of somebody, aren't you?

21 A I think we always all work under the supervision  
22 of somebody.

23 Q Except the captain of a ship who has just run  
24 aground? Isn't that right? He has got to make the  
25 decisions himself.

1           A     That doesn't mean he is not working under  
2 somebody's supervision.

3           Q     Well, when you come on board, you advise, right?  
4 You advise the captain, you advise the company  
5 representative, you advise whoever has hired you?

6           A     I am sometimes in positions where I am completely  
7 running the operation.

8           Q     Now, when you say you would have done this and you  
9 would have done that, and some of the actions were  
10 inconsistent with what you would have done, you have never  
11 been in that situation, isn't that right?

12          A     In what situation?

13          Q     Of a ship just run aground, spewing oil, you've  
14 got to make a decision in the middle of the night. You've  
15 got the crew members to worry about. You've got your ship  
16 to worry about. You've got the Coast Guard to worry about.  
17 You've got stability, you've got --

18          A     I've been in very similar situations many times  
19 where I had to make the decisions.

20          Q     By the time that you got there, the ship had  
21 already run aground and it was fairly stable at that point,  
22 is that right?

23          A     After the initial grounding, yes.

24          Q     Now, you keep talking about the fact, if the  
25 vessel would have come off. Well, we know that this vessel

1 wasn't going to come off. It was impossible for it to come  
2 off, don't we?

3 A We know that now, eleven months later.

4 Q Uh-huh.

5 The fact of the matter was that whether we know it  
6 now or they knew it then, that vessel wasn't going anywhere.

7 A But Captain Hazelwood took no steps to determine  
8 that.

9 Q So when you say he was reckless, what you are  
10 saying is he was reckless in not knowing his vessel couldn't  
11 move? Is that what you're talking about?

12 A No, that's -- let me think about the way you  
13 phrased that a little bit. He was reckless in taking  
14 actions without determining the conditions that were extant  
15 at the time.

16 Q But all those risks that you talk about, the  
17 capsizing, the breaking up, the -- the -- what do you call --  
18 -- the sinking, all right, those were all situations that  
19 weren't going to happen no matter what action he took. It  
20 was impossible for him at that time to move the vessel,  
21 either by using the or by using the rudder, isn't that  
22 right?

23 A That's correct.

24 Q Now, Mr. Cole asked you about the evidence that  
25 you reviewed at the end of January, early February. You

1 recall that?

2 A Yes.

3 Q Whatever evidence you reviewed, whatever testimony  
4 you reviewed, whatever reports you reviewed, were reports,  
5 testimony, evidence, that was given to you by the State,  
6 isn't that right?

7 A Yes, that's correct. Except for items from my  
8 library.

9 Q Okay. So the State controlled what you saw and  
10 what you based your opinion on, isn't that true?

11 A The State didn't restrict me in the seeking of  
12 other evidence and other information whatsoever.

13 Q Did you, on your own, do any independent analysis,  
14 any independent study, gather any independent information  
15 with respect to the grounding, other than what the State  
16 gave you?

17 A Well, other than the specific information about  
18 this grounding, and besides getting out the charts and  
19 talking to the salvage master, no.

20 Q Do you remember Mr. Kunkel's testimony where he  
21 said he came up about 12:30 and told the captain that the  
22 vessel was stable at that point?

23 A Well, I don't remember it exactly like that. I  
24 remember --

25 Q Well, did you consider --

1           A     -- him coming up and -- with a report of another  
2 analysis he had done using the loadmaster computer.

3           Q     That was later on. He said that was between 1:00  
4 and 1:20.

5           A     Well, there were two -- there were two reports.

6           Q     Right.

7           A     One which indicated there was a stability problem  
8 and the stress was all right, and the other indicated that  
9 there was a stress problem and the stability was all right.

10          Q     That's right. And the first one was that the  
11 stability was all right but the stresses were below the  
12 acceptable level if they were going to go beyond Cape  
13 Hinchinbrook, do you remember that?

14          A     That's correct.

15          Q     And the second report was that the stability was  
16 marginal. Do you remember that?

17          A     That's correct.

18          Q     Did you consider that in your opinion, those two  
19 reports?

20          A     I certainly did.

21          Q     Did you also consider the fact that when the  
22 captain spoke to the Coast Guard he told them on several  
23 occasions, we're ascertaining right now, we're ascertaining  
24 out situation right now. Did you read that in those  
25 reports?

1 MR. COLE: Objection, your Honor. I don't believe  
2 that that's what that says.

3 MR. CHALOS: It certainly does say that.

4 MR. COLE: No, it doesn't.

5 THE COURT: On several occasions he says that, Mr.  
6 Chalos? I don't have this in front of me.

7 MR. CHALOS: Well, let me rephrase it, your Honor.

8 THE COURT: Rephrase your question.

9 BY MR. CHALOS: (Resuming)

10 Q On at least one occasion the captain told the  
11 Coast Guard, when he was communicating with them, that we're  
12 ascertaining our situation right now.

13 A That's correct.

14 Q What does ascertaining mean to you?

15 A That means he was determining the situation.

16 Q Now, you spoke about situations where you have  
17 gotten vessels off the reef by going forward, do you  
18 remember that?

19 A Yes.

20 Q And in those situations you said you always  
21 lightened the vessel by taking a lot of cargo off, right?

22 A That's because that fit the circumstances of the  
23 particular grounding, yes.

24 Q Right. And if you didn't lighten the vessel, no  
25 matter how much you -- in that situation that you are

1 talking about, no matter how much you drove it forward, she  
2 wasn't going to go anyplace? Isn't that right?

3 A Well, I wasn't using the engines. Engines are not  
4 my tool of choice for refloating vessels.

5 Q Well, that is because you take out the cargo and  
6 you let it float up and you wait for high tide and you pull  
7 her off.

8 A Well, that's one way you do it. There are other  
9 ways, also, of laying anchors and purchases and hauling with  
10 high powered vessels and the like.

11 Q Tell the jury what you mean by anchors and  
12 purchases in those situations.

13 A One of the basic tools of the salver is a high  
14 holding power anchor laid in the direction that the ship is  
15 to be refloated, and taken to a multiple part -- purchase, a  
16 series of pullies and blocks which multiplies the force that  
17 is applied to it. And then either hauled with a winch or a  
18 hydraulic puller, to give a force and direction that'll pull  
19 the ship off.

20 Q And in that situation you are generating a lot of  
21 force, a lot of pull, aren't you?

22 A Well, you are generating -- a lot of pull, yes.

23 Q Now, one of the considerations of trying to go  
24 forward when you haven't taken any cargo off, aside from the  
25 fact that you are working the vessel on rock, is that



1 whatever you are grounded on is going to hit your propeller  
2 and your rudder, isn't it?

3 A Very likely.

4 Q Now, you've heard testimony here about Captain  
5 Hazelwood being an experienced master, didn't you?

6 A That's correct.

7 Q Now, does it make sense to you that an experienced  
8 master like Captain Hazelwood would run his engine and his  
9 propeller and rudder over a reef, does that make any sense  
10 to you?

11 A It's not the best action, but it's consistent with  
12 what was take -- what was done here.

13 Q Well, you said that the captain knew that his  
14 ballast tanks were damaged, didn't you?

15 A Yes, I did.

16 Q And you said that by seeing that, that you have  
17 water -- he knew that he had water in his ballast tanks,  
18 didn't he?

19 A Yes.

20 Q And the effect of water in the ballast tanks is to  
21 make the vessel heavier, to bring her down, isn't it?

22 A Yes,

23 Q Now an experienced captain like Captain Hazelwood  
24 would know that, wouldn't he?

25 A Yes, he would.

1 Q Now you spoke sort of in an off handed manner  
2 about the loss of product being rapid from the damage to the  
3 bottom -- to the hull plating in the bottom, you recall  
4 that?

5 A That's correct.

6 Q It's true, is it not, that it's not the size of  
7 the hole on the bottom that controls how much oil flows out,  
8 but the smallest opening at the top that permits the air in  
9 that controls the flow of oil, isn't it?

10 A That's correct.

11 Q So you could have a hundred foot hole in the  
12 bottom, but if you have a four inch valve on top, it is the  
13 four inch valve that is controlling the flow, not the  
14 hundred foot opening.

15 A That's correct.

16 Q You spoke about the danger of fire and explosion  
17 by using the IG system or not using it. You are talking  
18 about the explosive range that one goes -- that the system  
19 goes through at some point?

20 A Yes.

21 Q Tell the jury what the explosive range is, please?

22 A It is a mixture of oxygen and fuel vapor that's  
23 where an explosion is possible.

24 Q Did you do any calculations to find out what the  
25 explosive range in this situation was?

1           A     No, I didn't. I didn't have the volume of the  
2 tanks or the other information that would have required to  
3 do that.

4           Q     So when you say it would have been dangerous to  
5 use the IG system, or not use it, you don't know whether  
6 they were in the explosive range, whether they had gone  
7 beyond it already, when that happened, or what danger may  
8 have existed at that point?

9           A     No, I don't. I know that the inert gas would have  
10 been diluted. I know that the oxygen percentage would have  
11 been increasing and I know that the industry standard  
12 recommends keeping the inert gas system in operation.

13          Q     You know, do you not, that one goes in this type  
14 of situation where the inert gas system is open and you are  
15 losing cargo rapidly at that point, you know that the system  
16 goes through the explosive range very quickly, don't you?

17          A     I would have to see figures on that before I would  
18 necessarily believe that.

19          Q     In any event, you didn't do the calculations?

20          A     I did not do the calculations.

21          Q     And then it is also true, is it not, that once you  
22 go through the explosive range, the danger of explosion or  
23 fire is dissipated?

24          A     No, I think you have got a continuing danger that  
25 you could run in and out of that explosive range.

1 Q But it has nothing to do with using or not using  
2 the IG system at that point?

3 A It would have a lot to do with not using it.

4 MR. CHALOS: I have no further questions at this  
5 time, your Honor.

6 THE COURT: Make it brief, Mr. Cole, we have had  
7 this witness on a long time and we have covered the same  
8 ground several times. So stay on new material only.

9 REDIRECT EXAMINATION

10 BY MR. COLE:

11 Q When Mr. Chalos asked you about whether or not an  
12 experienced captain like Captain Hazelwood would do such  
13 things, you assumed that he was not intoxicated at the time,  
14 didn't you?

15 A Of course.

16 MR. CHALOS: Objection, your Honor. No evidence  
17 of that.

18 THE COURT: Would counsel approach the Bench  
19 please.

20 (An off the record Bench conference was had.)

21 BY MR. COLE: (Resuming)

22 Q When Mr. Chalos asked you about what Captain  
23 Hazelwood or what a reasonable captain would do in this  
24 circumstance, you assumed he meant a reasonable captain that  
25 was not impaired?

1 A That's correct.

2 MR. COLE: Nothing further.

3 RE CROSS EXAMINATION

4 BY MR. CHALOS:

5 Q Sir, you have no reason to believe that at the  
6 time of the grounding that Captain Hazelwood was impaired,  
7 do you?

8 A I have read testimony that Captain Hazelwood was  
9 drinking earlier in the day and I have read testimony that  
10 he was not showing any signs of impairment.

11 Q That's your answer?

12 A That's correct.

13 MR. CHALOS: Okay. I have no further questions.

14 THE COURT: All right, sir, you are excused.

15 (The witness was excused.)

16 THE COURT: Are you ready with your next witness,  
17 Mr. Cole?

18 MR. COLE: Yes.

19 THE COURT: You may call your next witness.

20 MR. COLE: The State would call Professor William  
21 Vorus.

22 THE COURT: I see you passing briefs around here.  
23 Do you have a copy for me?

24 MR. MADSON: I do, your Honor. I didn't want to  
25 interrupt the Court.

1 THE COURT: That's okay. This is as good a time  
2 as any. And file the originals downstairs if you would, and  
3 just give me the copies.

4 Thanks, I'll just take them, thank you.

5 Whereupon,

6 WILLIAM VORUS

7 called as a witness by counsel for the State of Alaska, and  
8 having been duly sworn by the Clerk, was examined and  
9 testified as follows:

10 THE CLERK: Sir, would you please state your full  
11 name and then spell your last name?

12 THE WITNESS: William S. Vorus, V-O-R-U-S.

13 THE CLERK: And your current mailing address?

14 THE WITNESS: 13560 North Lake Road, Gregory,  
15 Michigan.

16 THE CLERK: And your current occupation?

17 THE WITNESS: I am a professor at the University  
18 of Michigan.

19 THE CLERK: Thank you.

20 THE COURT: We'll take a break about 10:15, Mr.  
21 Cole.

22 MR. COLE: Sure.

23 DIRECT EXAMINATION

24 BY MR. COLE:

25 Q Professor Vorus, why have you been called to

1 testify in this matter?

2 A To render opinions in the general area of naval  
3 architecture and specifically with regard to our findings  
4 having to do with the freeing of the vessel from the reef.

5 Q Where do you teach currently?

6 A Department of naval Architecture and Marine  
7 Engineering at the University of Michigan.

8 Q Would you tell the jury what your educational  
9 background is?

10 A I have a BS in mechanical engineering from Clemson  
11 University, 1963. A masters from the University of Michigan  
12 in naval architecture in 1971 -- or '69. A Ph.D. naval  
13 architecture in 1971.

14 Q Would you explain a little bit of your employment  
15 background in the shipbuilding industry?

16 A I was at Newport News shipbuilding for ten years.  
17 Actually three of those years were on educational leave. I  
18 went with the shipyard in 1963 after graduation from  
19 Clemson. Was there for five years. Away at school for  
20 three. And went back there for three years.

21 Q What were you doing then?

22 A Various positions in the engineering departments.  
23 The last one was the manager in charge of ship machinery in  
24 engineering.

25 Q Would you describe what you mean by manager of

1 ship machinery in engineering? What were your  
2 responsibilities there?

3 A Well, our job was to verify designs produced by  
4 design departments in the area of main propulsion machinery,  
5 deck machinery, steering gear, anchors, primarily .  
6 Structural interface with the hull associated with those  
7 components. The job was actually somewhat broader than that  
8 in that this group was analytically well equipped. We  
9 handled all types of special problems for the yard.  
10 Vibrations problems, noise problems, special structural  
11 problems that arose.

12 Q And did it also include looking at damaged vessels  
13 occasionally?

14 A I can remember occasions where we worked with our  
15 ship repair department to do damage assessment in terms of  
16 strength degradation.

17 Q Now, after working for Newport News, what did you  
18 do?

19 A I went back -- returned to the University of  
20 Michigan as a professor in '73.

21 Q And what were you teaching then?

22 A My first assignment was a junior level course in  
23 structures, ship strength.

24 Q And would you explain to the jury what is a naval  
25 architect?



1           A     Naval architecture is -- could be viewed probably  
2 as a sub-field of mechanical engineering having to do with  
3 vehicle design. We are to marine vehicles what the aerospace  
4 engineer is to space vehicles.

5           Q     What's a marine engineer?

6           A     Well, the naval architect is more the hull  
7 envelope and outside, the interface with the water.  
8 Strength issues having to do with the hull. A marine  
9 engineer, they could be viewed as two types. One would be  
10 the operating marine engineer aboard the ship, and there was  
11 also a design marine engineer who was associated primarily  
12 with main propulsion machinery.

13          Q     Now, you have been teaching at the University of  
14 Michigan for how long?

15          A     Sixteen years.

16          Q     And what kind of classes do you teach now?

17          A     At this moment I am teaching a junior level course  
18 in ship dynamics, marine dynamics, and a graduate course in  
19 marine structures.

20          Q     And have you taught about structures, designs in  
21 the past?

22          A     My first course at Michigan was a course in design  
23 of ship hulls. I have continued to teach that throughout  
24 the year.

25          Q     Do you work with graduate students in this area

1 also?

2 A Well, I have been the graduate program chairman.  
3 I am not currently, but I was for a number of years. I  
4 currently supervise seven Ph.D. students.

5 Q And that would be with various projects with  
6 regards to marine, naval architecture?

7 A I think two of the seven are structures, two in  
8 hydrodynamics, there's one in propellers.

9 Q I'd like to ask you a little bit about Vorus and  
10 Associates. What is that?

11 A Well, it is a company that I formed in 1980. It  
12 is a corporation, small -- very small corporation, but I  
13 felt a need to stay a little closer to the front lines of  
14 activity in the field, and that company allows me to do  
15 that.

16 Q What kind of work have you done with that company?

17 A We -- we say we're specialists, but in a broader  
18 sense. We specialize in non-routine problems in the marine  
19 field. They could be structures, they could be  
20 hydrodynamically oriented problems. The types of things  
21 that require a little extra effort in terms of careful  
22 diagnosis, analysis, and resolution. The types of problems  
23 that the normal design office is not equipped to deal with.

24 Q Can you give the jury an idea of the types of  
25 problems that you have been asked to handle with Vorus and

1 Associates?

2 A Well, we are currently, for example, designing our  
3 lines of high tech cavitating propellers for recreational  
4 craft. The other extreme, recently I was engaged by a  
5 container ship operator who had a problem on a class of  
6 twelve ships with main deck damage up in the forebody in  
7 heavy storm seas. Others had recommended that the  
8 forebodies of those ships be rebuilt. We looked at it very  
9 carefully, determined that it could be very simply solved by  
10 the addition of some simple panel stiffeners which was done  
11 and done successfully.

12 Q Have you published any -- authored any  
13 publications in the field of structural design?

14 A About a third of our publications are in  
15 structures in general.

16 Q And the work that you do with Vorus and  
17 Associates, who helps you with that?

18 A My associates are generally the staff and students  
19 of the Department of Naval Architecture and Marine  
20 Engineering. They are -- I use them on an as needed basis  
21 when they are available.

22 Q And how much of your work with Vorus and  
23 Associates deals with structures?

24 A I would say about half.

25 Q Have you been asked to testify in cases before?

1           A     Yes.

2           Q     Approximately how many times have you had to  
3 testify in civil or arbitration cases?

4           A     Well, not so many. I pick and choose these jobs  
5 rather carefully. But I have been involved, I believe, in  
6 five arbitrations in the marine field, and two civil cases.

7           Q     When were you asked to provide services -- the  
8 services that you have rendered in this case, by the State  
9 of Alaska?

10          A     August, September, 1989.

11          Q     And did you enter into a contract with the State  
12 of Alaska?

13          A     Yes.

14          Q     And what was the amount of that contract?

15          A     It was originally \$25,000.

16          Q     And what was that for?

17          A     It was to help the State with the case, to provide  
18 some analysis and conclusions with regard to certain  
19 aspects.

20          Q     And have you reached any conclusions in this  
21 matter?

22          A     Yes.

23          Q     What conclusions have you reached about the  
24 stability of the Exxon Valdez on March 24th, 1989, in the  
25 early morning?

1 A In the grounded condition?

2 Q If it had gotten off the reef?

3 A If it had been extracted from the reef soon after  
4 the accident or during that period, our analysis shows that  
5 the vessel would have capsized and sunk.

6 MR. CHALOS: Your Honor, I move to strike any  
7 testimony on what would have happened if the vessel came off  
8 the reef, since we already have testimony that that was  
9 impossible. So anything that Professor Vorus would say  
10 would be hypothetical, it would be speculative, and really  
11 of no probative value, because the vessel couldn't come off.

12 THE COURT: Let's take a recess now for the jury  
13 and we'll take this up outside their presence.

14 Remember not to discuss the matter among  
15 yourselves or with any other person. Don't speculate on  
16 what we do in your absence, please, and do not form or  
17 express any opinions concerning the case. I'll call you  
18 back when we can.

19 (Whereupon, the jury exited the Courtroom.)

20 (Start tape C-3652)

21 THE COURT: Mr. Chalos, we've had several  
22 witnesses testify as to what might have happened, the risks  
23 that were involved. I am sure you are aware of the nature  
24 of the answer that was about to come, and you waited to  
25 object until after the answer came in. So I deem that you

1 have waived the objection that you are making now. But as  
2 to future objections, I think we need to deal with this  
3 situation now.

4 I have your brief. I don't think Mr. Cole has had  
5 an opportunity to look at your brief. You have had an  
6 opportunity to look at his brief. This is somewhat in  
7 response to the Court's inquiry last Friday, and apparently  
8 both counsel had understood this was going to be an issue  
9 because briefs had been prepared by State already.

10 The issue boils down I think, Mr. Cole, to whether  
11 or not factual impossibility of the vessel capsizing or any  
12 more damage occurring to it or any further pollution  
13 occurring as a result of Captain Hazelwood's actions, which  
14 we'll assume for the purpose of this argument, were to  
15 extract the vessel from the reef, can constitute the  
16 creation of a risk as the term is used in the statute  
17 defining the offense. I think you need to have time to look  
18 at this brief that has been filed by the defendant. We'll  
19 come back in in a few minutes and well resolve this.  
20 There's been substantial evidence already submitted, and  
21 we'll have to deal with it at some time, and we can start  
22 dealing with it now if necessary, and we'll definitely be  
23 dealing with this question during jury instructions.

24 We'll come back in about fifteen minutes. If you  
25 need more time, let me know.

1 We stand in recess.

2 THE CLERK: Please rise. This Court stands in  
3 recess subject to call.

4 (A recess was taken from 10:13 o'clock a.m., until  
5 10:39 o'clock a.m.)

6 THE COURT: You may be seated.

7 All right, ready to argue this point?

8 MR. COLE: Yes.

9 THE COURT: Okay. I think you know what the  
10 objection is. We've got the brief on it. We've got your  
11 brief on it, too.

12 Let me start with a couple of questions for you.  
13 Maybe we can narrow this down. How can Captain Hazelwood be  
14 reckless when the definition of reckless requires to be  
15 aware of and disregard a substantial risk if there is no  
16 risk? And for example, the crime cited by the defendant  
17 where a defendant was charged with arson and reckless  
18 endangerment. That case sounds like it might be on point.  
19 In that case the defendant contracted with or made some deal  
20 with an undercover agent to burn some place down, and they  
21 charged him with an attempt at arson and then they said they  
22 couldn't be charged with reckless endangerment because it  
23 was factually impossible. The undercover agent wasn't going  
24 to burn the structure down, so it was factually impossible  
25 for the reckless to have occurred. So maybe you could use

1 that as an analogy to this case.

2 MR. COLE: Sure.

3 Judge, I think we need to go back to what the  
4 charging documents are in this matter.

5 THE COURT: Well, let's just deal with the  
6 charging document at this time of criminal mischief in the  
7 fourth.

8 MR. COLE: Right. And the charging document at  
9 this time reads Captain -- Joseph Hazelwood, having no right  
10 to do so or any reasonable ground to believe he had such a  
11 right, recklessly created a risk of damage to the property  
12 of others in an amount exceeding \$100,000 by widely  
13 dangerous means, to wit, by the totality of his actions on  
14 March 23rd and 24th. He recklessly risked damaging the  
15 structural integrity of the oil tanker Exxon Valdez, causing  
16 the spillage of crude oil.

17 THE COURT: Now, as I understand it, based on our  
18 earlier orders that have come out and the bill of  
19 particulars ordered by the State to be produced, the damage  
20 that the State is showing that exceeded \$100,000, the risk  
21 of damage, was to the shore line, the marine mammals, the  
22 birds and the fish, correct?

23 MR. COLE: That's correct.

24 THE COURT: Okay.

25 MR. COLE: But we have to show that he risked --



1 that by his actions that evening, the 23rd, that he risked -  
2 - that he was aware of and consciously disregarded this risk  
3 of causing damage to the structural integrity of the Exxon  
4 Valdez. And our theory is when a tanker captain runs into a  
5 reef, he risks causing structural damage to the oil tanker  
6 and causing an oil spill, which causes this damage. Now, we  
7 have to prove that.

8 One of the ways that we have chosen to prove that  
9 is to put on a person who is going to explain what happened  
10 to this particular vessel on this particular occasion, and  
11 if it -- what would have happened if it had gotten off the  
12 reef instantaneously or five minutes later or an hour later.  
13 One of the elements is that we have to prove is that he was  
14 aware of and disregarded this risk of damaging the  
15 structural integrity by running into Bligh Reef.

16 Now, the way we have chosen to do that is put on  
17 someone who can tell the jury, who's done an analysis of the  
18 damage sustained by this, and can point out to the jury why  
19 these risks are there.

20 THE COURT: I understand all that. You're not  
21 addressing the issue here, Mr. Cole. The issue is the  
22 witnesses testimony that had it got off the reef, had  
23 Captain Hazelwood been successful in getting this vessel off  
24 the reef with his efforts, it would have capsized, when in  
25 fact, he could never have got it off the reef. And I think

1 that is undisputed, isn't it? Do we have any dispute about  
2 whether or not he could have got it off the reef?

3 MR. COLE: I don't think there is going to be any  
4 dispute on that. He could not, with the engine horsepower.

5 THE COURT: What element of the offense of  
6 criminal mischief in the fourth degree, does the testimony  
7 by this witness that it would have capsized had he got it  
8 off the reef, what element does that go to prove?

9 MR. COLE: It goes to prove that he risked  
10 damaging the structural integrity of the oil tanker causing  
11 an oil spill. I mean, you capsize -- you've got to explain  
12 to them why his actions risk an oil spill, causing the  
13 release of the \$100,000 damage. And our theory is it risks  
14 it because when you run into rocks you cause significant  
15 damage which can cause the release of oil.

16 THE COURT: We understand that. That is part of  
17 the elements, when he went aground the oil came out, and the  
18 testimony so far is that no other damage occurred after he  
19 went aground and it came to a rest. And there is no  
20 evidence that any more pollution took place. There was a  
21 risk had he got it out that more pollution would have taken  
22 place, there is a risk that it would have capsized and  
23 people's lives may have been lost. But once it came to a  
24 stop, the evidence seems to me to be pretty clear that it  
25 wasn't going anywhere and there was no further risk. Even

1 though Captain Hazelwood may not have known that, in fact  
2 there was no further risk. Now, I think that's a fair -- if  
3 I am wrong, correct me. Is that a fair summary of the  
4 evidence so far?

5 MR. COLE: I have no problem with that.

6 THE COURT: Okay.

7 MR. COLE: But Judge, see, what we are going under  
8 and what I am trying to get at is originally we brought this  
9 case as two acts, what he did before and what he did after,  
10 and you consolidated it, at their request. So I have to  
11 prove in my case that he risked the structural integrity by  
12 running over a reef. And that is what Professor Vorus does.  
13 he gives that to the jury. We're not focusing on, as Mr.  
14 Chalos would like to say, what he risked if -- by taking the  
15 actions that he did. Because you told me, and you  
16 consolidated this whole thing -- what we are talking about  
17 is what he risked by running his vessel over a reef, which  
18 Professor Vorus can testify about.

19 THE COURT: Well, let's get back to my original  
20 question. The elements of the crime of criminal mischief is  
21 that the defendant, having no right to do so or any  
22 reasonable ground to believe he had such a right, recklessly  
23 create a risk of damage to the property of others in amount  
24 exceeding \$100,000 by widely dangerous means. Those are the  
25 elements. After that, the to wit and the document that the

1 State chose to file, isn't an element of the offense. The  
2 elements are what I just read. So which of the essential  
3 elements of the crime charged I just read to you, does this  
4 witnesses testimony, that had it gone off the reef it would  
5 have capsized, prove?

6 MR. COLE: Created a risk of damage. When he was  
7 approaching the reef and he is ten feet away or he is a  
8 hundred yards away, we have to prove that there is a risk,  
9 that he creates a risk of the damage. And one of them is  
10 through Professor Vorus, saying when this vessel hits rocks,  
11 this is what happens to the undercarriage.

12 THE COURT: Maybe we're not communicating. My  
13 question is, what does the evidence of what he did after it  
14 went aground and came to a stop and the damage was done, the  
15 pollution took place, the damage was done -- what further  
16 evidence that had it got off the reef -- which was factually  
17 impossible -- it would have capsized, prove? What element  
18 does that prove? The fact that -- the chance of getting off  
19 the reef, that was impossible, what does that go to prove?  
20 After the grounding?

21 THE COURT: If you want to focus on that, Judge, I  
22 think it is a mistake of fact. Mr. Madson has not addressed  
23 that at all in his brief. All he says is impossibility.  
24 Contrary, really, the law review article that we pointed out  
25 and the cases in line, say that this is a mistake of fact,

1 not impossibility. A mistake of fact in the State of Alaska  
2 is not a defense in this particular case.

3 If you want me to focus on that, what does the  
4 actions of coming off the reef, our response is, this is not  
5 impossibility, it's a mistake of fact. And AS 1181.620 sets  
6 out the defenses for when a person commits the -- you know,  
7 when mistake of fact. The mistake of fact here is that  
8 Captain Hazelwood thought he could get this thing off the  
9 reef, when in fact he couldn't. And that is not a defense  
10 in this case.

11 So we believe that if you look at it as well, how  
12 does this -- the actions of taking the vessel off the reef  
13 or attempting to take it off the reef relate to the State's  
14 case in chief, if that is the question you're asking me, my  
15 response is that it's a mistake of fact.

16 THE COURT: Maybe I misread the briefing and maybe  
17 I was unaware of the point, but it seems to me that is what  
18 the briefing addressed, the events by Captain Hazelwood, him  
19 attempting to get it off.

20 MR. COLE: Right.

21 THE COURT: And the risk here that you're trying  
22 to introduce is that had he got off the reef, there would  
23 have been additional damages. There would have been more  
24 pollution and there would have been risk of life?

25 MR. COLE: That's correct.

1 THE COURT: Okay. Now, that's what I thought Mr.  
2 Madson's brief addressed. Am I incorrect, Mr. Madson, about  
3 that?

4 MR. MADSON: I think you're correct, your Honor.  
5 That's what it addressed.

6 THE COURT: So my question becomes again, if it  
7 was factually impossible to do any more damage or create any  
8 more pollution, what essential element of the charge does  
9 the opinion that it would have capsized had it got off by  
10 Captain Hazelwood's efforts, go to prove?

11 MR. COLE: Well, Judge, if you tell me that you  
12 are ruling that it is a factual impossibility, then you are  
13 right. It doesn't.

14 THE COURT: But wait a second now. I just asked  
15 you if it was a fair summation of the testimony that in fact  
16 it could not have been removed by Captain Hazelwood, in fact  
17 no more damage occurred, and in fact there was no chance of  
18 additional pollution. if that was a fair summary of the  
19 State's evidence so far, and I thought you said that is  
20 correct. Am I wrong about that?

21 MR. COLE: Well, there was more damage done by  
22 what he did. I mean, you just don't put a ves -- a tanker  
23 on a rock and grind it back and forth for an hour and a half  
24 and not be additional damage, and that is what everybody has  
25 testified to, that there was additional damage that was

1 done.

2 THE COURT: What witnesses have testified that  
3 there is additional damage done --

4 MR. COLE: Captain Beevers and Captain -- Mr.  
5 Milwee both testified that additional damage was done by  
6 going back and forth on that reef.

7 THE COURT: Has there been any evidence of  
8 additional pollution as a result of that?

9 MR. COLE: Well, I don't think they'll -- our  
10 expert will say that there -- that the additional pollution  
11 is caused not by the damage inside, but my understanding, it  
12 is based on the apertures on top of the deck.

13 THE COURT: Is there any -- any evidence  
14 whatsoever that Captain Hazelwood's efforts, and for  
15 purposes of this argument we're assuming his efforts were to  
16 remove it from the grounding, that that -- those efforts  
17 created additional pollution?

18 MR. COLE: Yes, I believe some --

19 THE COURT: What is the evidence?

20 MR. COLE: The evidence is going to be -- or that  
21 has been is that he created additional damage by damaging  
22 the longitudinal beams on the keel of this vessel.

23 THE COURT: What is the evidence that he created  
24 additional pollution. Just bring it to my attention.

25 MR. COLE: The additional pollution is caused by

1 the risk that he creates by disrupting the longitudinal  
2 beams going forward and aft. And that is -- and the problem  
3 that arises there is at 8:30 in the morning, we've got a low  
4 tide coming and that at that time there is the greatest  
5 chance of this vessel breaking in half. And that is what he  
6 risked. I mean that -- Professor Vorus is going to say  
7 that, too. The most critical time of this vessel was at  
8 8:30 in the morning at the low tide.

9 THE COURT: He risked it had he succeeded in  
10 getting it off the rock, is that what you're saying?

11 MR. COLE: No, just by going back and forth, he  
12 risked damaging the bottom of this vessel, which -- it goes  
13 to the stress and stability of the vessel. But the greatest  
14 stress that this vessel was going to see was at 8:30 that  
15 morning.

16 THE COURT: Okay.

17 Now Mr. Cole, the elements say that he has to  
18 recklessly create a risk of damage to the property of  
19 others. Now what is the property of the others that he  
20 risked damage to in this case?

21 MR. COLE: It's further oil pollution if this  
22 vessel breaks up in the morning.

23 THE COURT: And your witness is going to testify  
24 that by his actions in trying to get this vessel off, that  
25 there was a substantial risk that he could have broken the



1 vessel up even though it couldn't have moved?

2 MR. COLE: No, he's not going to say that.

3 THE COURT: Okay.

4 You've answered some of my questions. I'll let  
5 you go ahead with your argument, Mr. Cole.

6 MR. COLE: Well, in addition to that, Judge --

7 THE COURT: Now we're just dealing with the  
8 criminal mischief. We're going to get into other charges  
9 against Hazelwood in a minute. But right now we're just  
10 dealing with criminal mischief.

11 MR. COLE: Okay.

12 As I said before, I think that when you look at  
13 count 1 of the information amending indictment, Professor  
14 Vorus should be allowed to testify as to what the risks are  
15 of a vessel going over a reef. And he has a scenario in  
16 this case where the Exxon Valdez sustained the same damage,  
17 but came off immediately or within five minutes after the  
18 grounding. And I believe that that is one of the elements  
19 that we have to prove, that the risk is that when a tanker  
20 captain runs over a reef, this is the type of damage that  
21 can be sustained and this is the type of risk that is  
22 involved with operating a tanker.

23 Second, as I stated earlier before, we believe  
24 that in addition to the impossibility, there is also a  
25 mistake a fact here. Captain Hazelwood certainly believed

1 that he could take that vessel off the reef, and it wasn't  
2 for a lack of trying, either.

3 Finally -- well, there's two other things. The  
4 defendants have waived this by failing to object earlier  
5 than this. Professor Vorus gave his opinion. The time to  
6 stop -- to object was prior to that. He should be allowed  
7 to explain his answer.

8 And finally, what Hazelwood did afterward and what  
9 he risked, Captain Hazelwood did afterward and what he  
10 risked, goes to the element of bad judgment, your Honor.  
11 That is one of the things that we have to prove in this  
12 case, that he was acting in an impaired state. That he was  
13 acting not in the conformity of a person because of the  
14 impairment of alcohol. And one of the ways we can prove  
15 that is to show what -- what he risked by doing this.

16 And that's our argument.

17 THE COURT: All right, thank you.

18 MR. MADSON: Your Honor, at the risk of  
19 oversimplifying this, I think the Court has really zeroed  
20 right in and targeted the issue squarely on the head. But  
21 there's a couple of comments I would like to just make with  
22 regard to what we're talking about, and hopefully it'll put  
23 it in perspective.

24 If I or anybody else here -- let's assume there  
25 are ten weapons on Mr. Cole's table over here. One of them

1 is loaded. I have reason to believe one of them is loaded.  
2 If I pick up any one of the ten and point it at somebody and  
3 pull the trigger, there is a substantial risk. I risk that  
4 result. It was substantial one considering even though  
5 maybe one out of ten or one out of a hundred, because of the  
6 result that would follow.

7 But let's take another example. Let's suppose  
8 none of the weapons are loaded, but I don't know that. I  
9 have reason to believe that there may be one there. The  
10 fact that I grab an unloaded weapon, point it at somebody --  
11 no matter what my intent is -- does not create this risk of  
12 whether it be damage to property, injury, or death, because  
13 it is a nonexistent risk. And that's exactly what we have  
14 here.

15 The evidence showed, and I think the State's main  
16 expert on this, Mr. Milwee, clearly showed -- and he said it  
17 last Friday and he said it here again today, it was  
18 impossible to move this vessel off the reef no matter what  
19 he did, because he had insufficient power to do it. No  
20 matter what he intended, and how many times apparently in  
21 discussions with the State, Mr. Milwee had a misconception  
22 of what his role was and his opinion, because he kept  
23 saying, but Captain Hazelwood didn't know that. And of  
24 course, we agree with that. It isn't -- it has nothing to  
25 do with what he knew or did not know.

1           Now, if he were charged with intentionally trying  
2 to get the vessel off the reef, we wouldn't be here arguing  
3 that. Intent crimes are completely different. When you  
4 intend to do something that is factually impossible to do  
5 it, that doesn't relieve you of criminal responsibility or  
6 liability. What it does is simply say well, because of the  
7 result, the crime couldn't occur, therefore you have  
8 attempted to commit the crime even though it would be  
9 impossible to do it. And that is what the statute Mr. Cole  
10 refers to really addresses.

11           The statute on impossibility or mistake of fact or  
12 mistake of law, really addresses the defendant's mental  
13 state. It does not address the other part of the  
14 recklessness statute, which is the substantial risk factor.  
15 In other words, like I think that just common sense says  
16 that no matter what you do, every time you drive a car, no  
17 matter what, it can be argued that you create a certain  
18 risk. Recklessness doesn't come into play until that risk  
19 raises to that level where it becomes a substantial and  
20 unjustifiable one.

21           Now if we look at this case in the context of if  
22 it was originally three counts as the State originally had  
23 it, I don't think there would be any question but at this  
24 stage or certainly by the end of the State's evidence, that  
25 count would have to be dismissed because there was simply no

1 evidence of a substantial risk, which is an element the  
2 State must prove.

3           Now they are coming in here and saying, well, it's  
4 other things. It goes to the whole total -- the whole  
5 package. Well, we can remove it from the package and that's  
6 what I asked the Court to do in the brief, is simply say it  
7 cannot be considered in the total circumstances of Captain  
8 Hazelwood's judgment in the context of recklessness. Now  
9 there may be others, but I am just saying with regard to  
10 that, it simply muddies the waters, the allows the jury --  
11 if it were to go to the jury and they came back with a  
12 decision after the testimony they have heard and nothing  
13 else, it would be, I think, serious error, because we  
14 wouldn't know if they jury based their decision on actions  
15 taken after the grounding or not. And if they did, they  
16 would be totally wrong. So we have to put it in the context  
17 of one count now, but we can still remove that. And  
18 whatever happened prior to the grounding, the State is still  
19 free to argue. We are not going that far. We are just  
20 obviously saying from the State's own evidence here, it was  
21 impossible to create the risk after the grounding.

22           Other than that I don't know what more we can add,  
23 your Honor. I think the highest Court in the State of New  
24 York is certainly not a little magistrates court somewhere,  
25 it's taking exactly the same statute we have, word for word,

1 and basically saying in essence, you can't have a  
2 substantial risk if it was impossible.

3 Thank you.

4 MR. COLE: Judge, I just want to add one last  
5 thing. There was another risk of what Captain Hazelwood  
6 did, and that has been shown in this thing.

7 THE COURT: The risk of damage to the property of  
8 others?

9 MR. COLE: Damage to the vessel, yes.

10 THE COURT: You were given specific instructions  
11 to give us a bill of particulars to set forth what damage it  
12 was that you were claiming was damage to the others, and  
13 specifically you said it wasn't to the vessel, as I  
14 understand it. Am I correct about that?

15 MR. COLE: I am saying that. But I am saying that  
16 there is a risk, and that risk is -- let me just show it to  
17 you, and this has been testified to.

18 (Pause.)

19 This vessel is sitting on this rock right here.  
20 Captain Hazelwood does not know anything, all the way around  
21 this vessel. And he goes backward and forward. That whole  
22 time the experts, Mr. Milwee sat here and told you that he  
23 risked puncturing another hole in that vessel. He risked  
24 the engine being damaged. He risked -- I understand the  
25 bill of particulars. But he also risked running into a rock

1 here, running into one here, here, here, and here. And he  
2 didn't take soundings. And I think that supports more oil  
3 loss.

4 THE COURT: All right.

5 At this stage of the proceedings, since there has  
6 been so much evidence produced already showing what might  
7 have happened had Captain Hazelwood been successful, it  
8 would seem to me it would be inappropriate to instruct the  
9 jury at this point. I haven't made up my mind completely.  
10 However, I do see the relevance of this evidence to prove  
11 the element of under the influence, for driving a watercraft  
12 while under the influence. The argument could be, and I am  
13 not saying that this is what the facts are, but it is  
14 relevant to show under the influence. Mr. Cole might  
15 legitimately argue that not taking soundings, trying to move  
16 the vessel off the rock, is evidence that Captain Hazelwood  
17 was impaired and that he should have known or was under a  
18 duty to know that by doing this he did take a chance, had he  
19 been successful, in capsizing the vessel. And that goes to  
20 his judgment at the time.

21 So I think that goes to prove an element of the  
22 misdemeanor, operating a watercraft under the influence. It  
23 may not go to prove that Captain Hazelwood recklessly  
24 created a risk of damage to the property of others. I don't  
25 know the answer to that yet. However, I can cure any kind

1 of ambiguity that may be given to the jury with a jury  
2 instruction at the completion of the case.

3 I am going to let the answers come in as proposed.  
4 If you have other objection to testimony as it comes in,  
5 please make it timely so we can make a timely ruling on it.  
6 But this time I am going to overrule the Defendant's  
7 objection and I'm going to deny your motion to strike. And  
8 any other objection that comes in for that very question or  
9 one very similar to it would probably be overruled as well.

10 Although Mr. Cole, please be on notice that there  
11 is a likelihood that you will not get an instruction that  
12 suggests that what could have happened goes to prove an  
13 element of the criminal mischief. My inclination now, but I  
14 am going to give it more thought and I hope that maybe you  
15 can give me a little better briefing on this than you have  
16 already, is that factual impossibility, physical  
17 impossibility of creating any additional damage is not  
18 evidence of any of the essential elements of the crime of  
19 criminal mischief in the fourth degree. And I would be  
20 using the New York cases, and my law clerk is doing some  
21 work on Alaska cases, but I have been unable to find any  
22 Alaska cases on point so far.

23 Let's call the jury back in.

24 MR. MADSON: Your Honor, I might mention, I have  
25 tried to find Alaska cases, too, and that's the only cases



1 we could find on this subject.

2 THE COURT: How long do you expect the rest of  
3 your direct will take?

4 MR. COLE: Probably an hour.

5 THE COURT: All right.

6 (Whereupon, the jury entered the Courtroom.)

7 THE COURT: Thank you for your patience, ladies  
8 and gentlemen.

9 BY MR. COLE: (Resuming)

10 Q Professor Vorus, in coming to the conclusions that  
11 you did, what evidence did you rely on?

12 A Piece by piece?

13 Q Yeah. Just generally.

14 A NTSB testimony. Salvage plan. Various ship  
15 design documents, the longitudinal strength report. Trim  
16 and stability booklet. The ship general arrangement, the  
17 body plan. The Cale and Brett documents giving the loading  
18 at departure. The output of the loadmaster computer program  
19 run at the departure condition. There may have been a few  
20 others. That's essentially it.

21 Q Did you have any conversations with Mr. Kunkel?

22 A Yes.

23 Q And how about with Mr. Leitz?

24 A Yes. I also saw the vessel in drydock in San  
25 Diego.

1 Q Well, let's talk about that. When did you visit  
2 the Exxon Valdez in San Diego?

3 A In September, 1989.

4 Q And who were you with then?

5 A You, Mr. Adams, Mr. Milwee, Mr. Greiner.

6 Q And had you received any of the evidence at that  
7 time? The documents from the State?

8 A Yes, I had -- perhaps a very limited amount.

9 Q Now, would you describe for the jury the damage  
10 that you observed? And let me -- let me set that here and  
11 you use that pointer.

12 A What about my drawing?

13 Q Oh, did you bring that over?

14 A Yeah. These were in order. This one.

15 Q Okay.

16 Now, Plaintiff's Exhibit Number 159, is that a  
17 diagram that you made?

18 A Yes. This is a schematic or drawing of -- this is  
19 the main -- shows a plan view of the main deck of the vessel  
20 with the compartmentation indicated. It's basically the  
21 same drawing you see on the easel but without the frame  
22 notation. These two are just simple views viewing the ship  
23 from the bow, from the front. And what I prepared this for  
24 was to sketch on here the damage that I observed in the dry  
25 dock in San Diego and the scenario that I expect as to how

1 that was created.

2 Q Can you show the damage then on the top of the  
3 diagram there?

4 A Well, I would like to draw one other sketch to  
5 accompany this. The Exxon salvage report has attached with  
6 it soundings of the area that were taken on March 24th. In  
7 addition, we have a number of course re-creations that show  
8 the ship on a 180 heading towards Bligh Reef. Let's see,  
9 let me -- it was on a 180 heading. The Exxon salvage report  
10 -- this sketch is lifted out of that documentation. It  
11 shows a reef line that comes roughly across the path of the  
12 ship. This represents a line of shallow water representing  
13 a ridge in this rock field associated with the territory  
14 right off the northern end of Bligh Island.

15 The ship executed a turn and at a heading of about  
16 a hundred -- or 250 degrees is where the course recorder  
17 shows a deviation in path. I suspect that that is where it  
18 first encountered this reef ridge line. Its momentum  
19 carried it across that line. And viewing the damage in San  
20 Diego what I saw was the ship encountered that water -- and  
21 that -- the depth there -- the vessel is running at a draft  
22 at this point of about 56 1/2 feet, and if you project that  
23 -- now this was from a view of the damage and some knowledge  
24 of what the water depth was and lay of the reef ridge, it  
25 looks like projecting the profile of the reef on this view,

1 what you saw was some contact at the corner, water open  
2 below much of the starboard side, and then a rock coming up  
3 under close to the center line on the starboard side.

4 The damage that that did was, I believe some -- it  
5 looks like some scraping. It's hard to tell here because  
6 the later encounter with shallower water produced more  
7 extensive damage. But back in this region there was some  
8 scraping associated with that and mild holing here of the  
9 number 4 ballast tank.

10 All right, in addition to that you could follow  
11 the damage line of this rock -- this looked like it was down  
12 a depth of say 54 feet, about a two foot interference  
13 between the bottom of the ship and the top of the rock. So  
14 say this is 54 -- and these are rough -- these are very --  
15 rough numbers. What that did was cut a tunnel. You could  
16 see the upset. You could view the ship from the bow, look  
17 down the tunnel. The ship was into a starboard turn. It  
18 was turning to the starboard, and that rock seemed to cut a  
19 tunnel -- just upset the plates -- over most of the length  
20 of the ship. You could follow it down the length. And it  
21 made a trajectory on the bottom that started at the forepeak  
22 tank and went down the entire length of the vessel with a  
23 trajectory to starboard. It took out number 1 center tank,  
24 it took out number 2 center tank. And I say took it out, it  
25 was like taking a pair of scissors and just snipping the

1 bottom plating. This upset region, the plate was upset and  
2 it was open. It was opened at the top. This was a width of  
3 about eight -- six to eight feet. But it was holed through  
4 the tanks. This trajectory followed a course generally  
5 towards the starboard side as the ship went into the turn.  
6 It took out 2C, it took out 3C, it took out 4C, it took out  
7 both 5C and 5S, and it took out the double bottom -- the ten  
8 foot, eleven foot double bottom under the starboard slop  
9 tank.

10 So that -- I think that first encounter which is  
11 very likely the crew didn't even hear or didn't even feel,  
12 it just thundered right over it, took out one, two, three,  
13 four, five, six, seven, eight, including the forepeak nine,  
14 of the twelve tanks.

15 All right, then it progressed into the turn and  
16 came on around to a heading of something like 305. This was  
17 180. 305. It later settled back to about 280. This was  
18 the most intense region of that reef, from the simple  
19 soundings and sketches that Exxon produced. At that point  
20 the interference was large enough, again projecting on this  
21 view, an interference that looks more like that, where now  
22 we're set up here on the starboard side, perhaps to -- you  
23 know, 50 to 52 feet, somewhere in that range, a much -- a  
24 much more intense interference.

25 And that interference was such to dissipate the

1 momentum of the vessel and stop it. And in doing so it took  
2 out much of the turn here, into the bottom. It did  
3 extensive damage to the forepeak and to 1 starboard, to 2  
4 starboard -- 1 starboard, 2 starboard. This is a ballast  
5 tank number 2. It got 3 starboard. And came to rest  
6 somewhere in this region on that shallow part of the reef.

7 Here we come across for the first one, for the  
8 second one when the ship stopped, in an attitude something  
9 like that. Stopped at about 305 and then swung back to  
10 something about 280.

11 Q Now would you use the diagram that you have just  
12 drawn to explain a little bit about the longitudinals, beams  
13 that run along the bottom of the vessel?

14 A All right. We really need to get into strength to  
15 deal with that precisely.

16 Q Well, just explain the layout before you get into  
17 that. What is the layout on the bottom?

18 A As you can see the layout better from the drawing  
19 on the other easel. The pink lines here, these are the  
20 bulkheads, the major transverse lines that I have on that  
21 sketch. The intermediate transverse lines are frames. They  
22 are big frames about as high as that -- higher than -- as  
23 high as this ceiling, but are open, generally open. And  
24 these occur roughly at the spacing indicated here.

25 And then the next level of structure, closely

1 spaced longitudinals with flanges on top that are probably  
2 about this high, that run longitudinally and pass through  
3 all the frames and all the bulkheads.

4 Q Now, when you were in San Diego, did you notice  
5 any damage that would be consistent with tide ballooning?  
6 Going up and down on the tide?

7 A Yes. The -- the vessel came to rest locally --  
8 this ridge seemed to be rather steep, so it came to rest  
9 right in the region here of bulkhead 23. And then with the  
10 outgoing tide, the ends of the ship then tend to droop over.  
11 It's like you have got a bar with a fulcrum in the center  
12 and the tendency is for the ends, because of the weight, to  
13 droop over, and it creates a very stressful situation.  
14 Fortunately this ship, rather than knuckling, breaking at  
15 that point, it crushed -- the local structure crushed so  
16 that this region -- the region here where it settled on the  
17 grounding was -- you could walk down the length of the  
18 bottom in a drydock, the dry dock -- the docking blocks were  
19 set at four feet, and usually it is very hard to even get  
20 underneath. In this case you could stroll down between  
21 longitudinals on either side of your head all the way  
22 through this region. And then in reaching the region of  
23 settlement, this became like a cathedral almost. It was  
24 upset, set up about eight feet. The longitudinals were  
25 spread and they were heavily bowed. And that represented

1 the settling of the ship on the reef with the first low  
2 tide.

3 Q Did you see any indication of damaging where  
4 twisting, of twisting of the heading of the vessel?

5 MR. CHALOS: Objection, your Honor. Your Honor, I  
6 object. He's leading the witness.

7 MR. COLE: It's a foundational question, your  
8 Honor.

9 THE COURT: Maybe you can be a little more  
10 specific. The form of the question is ambiguous. When you  
11 say twisting, what are you referring to?

12 BY MR. COLE: (Resuming)

13 Q Did you see any evidence to the damage -- evidence  
14 of damage due to the vessel changing course through twisting  
15 motions?

16 A If again we draw that similar picture, this time  
17 looking upward from the bottom, the vessel was badly crushed  
18 and distorted in this region where it had settled on the  
19 starboard side, about 365 feet back. There were to me there  
20 were signs of rotation due to some cause, in that you could  
21 generally walk out in any direction from roughly the center  
22 of this cathedral and see marks that were perpendicular to  
23 radial lines out of that area. Just walk out a radial line,  
24 and much of the plating was missing. But where plating was  
25 intact, you could see -- I could see scratch marks that were



1 roughly perpendicular to my direction, indicating a rotation  
2 roughly about some center in this area.

3 Q Now, can you determine the cause of that twisting  
4 just from the marks itself?

5 A No.

6 I should add that there was also -- the  
7 longitudinals are by design absolutely straight. Nothing is  
8 absolutely straight, but that is where they provide their  
9 maximum strength as members of the hull structure. When  
10 these members become bowed in any direction, they lose their  
11 stiffness and essentially discontinue to provide strength to  
12 the hull. There was an indication of longitudinal splaying.  
13 It was certainly vertical. It was unquestionably vertical  
14 where the ship had settled on the reef. But there was also  
15 splaying laterally, which could have come from the ship  
16 rotating -- a rotation about some fulcrum at this point  
17 would move the ship -- the ship's center line transversely.  
18 And then in the presence of rock, a rough bottom contour is  
19 catching in these longitudinals and bending them sideways.

20 Q And you saw evidence of longitudinals that had  
21 been bent in this way?

22 A Yeah, I think the pictures that have been  
23 introduced as evidence confirm that that exists.

24 Q When was -- well, we can get to that in just a  
25 second.

1 You talked about the conclusion that you reached  
2 in this matter. Are there any factors that the jury or  
3 theories that the jury needs to understand before you  
4 explain why the Exxon Valdez would not have floated had it  
5 come off that reef?

6 A Well, buoyancy is the key. If you can understand  
7 buoyancy, I think most of this become rather simple. An  
8 understanding of simple buoyancy leads to understanding what  
9 we did here in terms of strength, stability and even the  
10 spill itself, the flow of fluids into and out of the tanks.

11 Q Have you made some exhibits to demonstrate this?

12 A Yes.

13 MR. COLE: I am going to move the admission of  
14 what has been marked as Plaintiff's Exhibit Number 159.

15 MR. CHALOS: No objection.

16 THE COURT: It is admitted.

17 (Plaintiff's Exhibit Number  
18 159 was admitted in evidence.)

19 (Pause.)

20 BY MR. COLE: (Resuming)

21 Q Well, let's talk about stability. What do we mean  
22 by stability in a vessel?

23 A You mean buoyancy?

24 Q Buoyancy?

25 A Well, I would like to illustrate this with a very

1 simply example. I don't -- this may be unnecessary, and I  
2 don't want to insult you with this, but I think if you'll  
3 bear with me for just a moment, now this is a key to  
4 understanding the things that I am going to show you a  
5 little later.

6 MR. CHALOS: Your Honor, I don't mean to  
7 interrupt, but I think the witness has to be responsive to  
8 the question rather than give us a lesson as he would his  
9 students in class. I think there has to be questions and  
10 answers rather than a lecture.

11 THE COURT: I think our rules, Mr. Chalos, allow  
12 an expert to give somewhat of a dissertation on a subject,  
13 particularly preliminary to an opinion. I am going to let  
14 him do it. Objection overruled.

15 THE WITNESS: I want to start with the idea that  
16 you have two balls, one is a tennis ball made out of fabric,  
17 and the other, say, is a cannon ball, muzzle loading cannon  
18 ball. They are both the same size, roughly three inches in  
19 diameter. And let's say that we have water and you take the  
20 two balls, the same size, and hold them beneath the surface.  
21 Now obviously if you let go, one floats and one sinks. But  
22 just say for now that you are holding them below the  
23 surface. You know that the tennis ball is going to rise,  
24 the cannon ball is going to fall, and I mean, that is the  
25 proof. But there is another way to prove that. And that is

1 by the concept of displaced volume. Say these are both --  
2 are both the same size, three inches, and they both have the  
3 same volume. And the volume of the three inch ball is  
4 essentially about one cup, it's about eight ounces.

5 All right, so the volume -- and when we say  
6 displaced volume, it's the water which occupies the same  
7 space as this material. So it is the volume of a three inch  
8 sphere. All right, the volume here in both cases is about  
9 eight ounces, volume ounces. And the weight of eight ounces  
10 of water is about a half a pound. So the weight of that  
11 volume is about one half pound.

12 Now the fact is if this weight is greater than the  
13 weight of the ball -- it's greater than the weight of the  
14 ball, then the object floats, rises to the surface. If this  
15 weight is less than the weight of the object, the object  
16 sinks. Now I think it is obvious that a fabric tennis ball  
17 full of air weighs less than a half pound. So the tennis  
18 ball rises and the cannon ball sinks once you release the  
19 two.

20 The half a pound is the buoyancy. That is the  
21 buoyancy of the submerged ball. It is the weight of the  
22 volume displaced by the objects.

23 All right now let's forget the cannon ball -- we  
24 are interested in bodies that float -- and go to the surface  
25 with the tennis ball. The tennis ball goes to the surface

1 and it floats there. It has a new displaced volume in this  
2 configuration. The displaced volume now, the volume of  
3 water displaced by this object is the volume of this little  
4 cup. It is now just a cup of water. And the weight of that  
5 cup of water which is the volume of the ball below the  
6 surface -- that's its displaced volume -- the weight of that  
7 cup of water is its buoyancy. And it is exactly equal to  
8 the weight of the ball. The weight of the ball, if the ball  
9 is heavier it displaces more water. The weight of that  
10 water is heavier, equal to the heavier weight of the ball.  
11 If the ball is lighter, it displaces less volume. A lighter  
12 weight equal to the lighter weight of the ball.

13 BY MR. COLE: (Resuming)

14 Q So if you -- your little half circle there, if  
15 that was filled up with water, the half circle there --

16 A Yes.

17 Q -- that would then be equal to -- the weight of  
18 that half a cup of water would be equal to the weight of  
19 your tennis ball?

20 A That's right.

21 Q What about -- go ahead.

22 I was going to ask you, what about the center of  
23 gravity in that?

24 A Okay, that's the next thing. You've got to go  
25 from buoyancy now to talk about where the buoyancy acts.

1 It'll be centered. We need the concept of the center of  
2 gravity which I think most people are familiar with. Low  
3 center of gravity, high center of gravity, it's the center  
4 of your weight.

5 So center of gravity for the tennis ball, since  
6 this is absolutely symmetric, would be in the center of the  
7 ball. All right, so draw the center of gravity. This  
8 represents G, and I'll refer to this as G. All right,  
9 acting through G is the weight of the ball. That's W. Now,  
10 center of buoyancy. Center of buoyancy is nothing more than  
11 the center of gravity of the displaced volume. All right,  
12 this is the displaced volume. That displaced volume has a  
13 center which is somewhere on the axis because it is  
14 symmetrical, but somewhere below the surface. Just a  
15 geometric center of that -- of that space. That is known as  
16 B.

17 Q What's B mean?

18 A B represents center of buoyancy. It is center of  
19 buoyancy and center of gravity. Center of buoyancy being  
20 the center of gravity of the displaced volume.

21 All right now, the weight, you see, also then --  
22 since buoyancy, the magnitude of buoyancy is equal to the  
23 weight, then you have got the weight of the object acting  
24 down through the center of gravity and you also have the  
25 weight of the object acting up through the center of

1 buoyancy because the buoyancy is equal to the weight.

2 All right, that represents a condition where the  
3 ball is stable. And it is the condition for -- we'll define  
4 stability, but the center of buoyancy must lie directly  
5 above the center of gravity for any object in order for the  
6 object to be stationary. If the center of gravity is not  
7 directly above the center of buoyancy on the same line, this  
8 will rotate.

9 Q When you say rotate, it'll start to twist, is that  
10 right?

11 A It'll turn. If you had a configuration, for  
12 example, where the center of gravity was over here and the  
13 center of buoyancy was here, you've got the weight acting  
14 through both, but this is coming down and that's going up,  
15 so it tends to twist it. And it will seek an equilibrium  
16 state. A state where these two always line up, one on top  
17 of the other.

18 Q What is it that acts to -- what forces are there  
19 that push this ball up again? What has happened?

20 A Well, it is the pressure of the water which holds  
21 it up. But that is represented in this buoyant volume.

22 Q Now, what happens now when they become disaligned?

23 A All right, for this case, for a sphere, you can  
24 put it in any position you want -- I can take the ball and,  
25 say, rotate it -- rotate it and as I -- it'll rotate, but as

1 it rotates, the center of gravity -- it's rotating about the  
2 center of gravity. About the center of the ball which is  
3 the center of gravity, that stays in the same place, but as  
4 it rotates the center of buoyancy rotates with it, so the  
5 center of buoyancy always stays under the center of gravity.  
6 And I can put the ball, turn it in any position that I want,  
7 and it'll stay there. Now, that's not generally true. This  
8 is a very special case because of the symmetry of the ball.  
9 And that is generally not the case with the ship.

10 Q Why is a ship different?

11 A The ship is different in two respects. One, the  
12 center of gravity is not at the axis of rotation. This  
13 shows a ship which has been inclined. Now remember, the  
14 center of buoyancy, B -- both of these arrows represent the  
15 magnitude of the weight of the ship -- but the center of  
16 buoyancy is the center of this displaced volume, and you can  
17 see that that center is shifted to one side.

18 All right, the center of gravity is along the  
19 axis. Now the ship has been rotated over, but you can see  
20 that in this configuration with the center of gravity below  
21 the axis of rotation -- the axis of rotation is where the  
22 vertical line through the center of buoyancy intersects the  
23 axis of the ship. If the center of gravity is below that  
24 axis of rotation, the ship will rotate back to upright, as  
25 you would expect it to.



1 Q You say rotate back. In other words, it'll right  
2 itself?

3 A The action of these two forces is to rotate it  
4 back towards upright. And that's what you would expect it  
5 to do. You know, you rock your boat, and when it stops  
6 rocking, it's sitting upright again.

7 All right, but that doesn't have to be the case,  
8 as indicated here on the lower picture. Imagine moving the  
9 center of gravity. The center of gravity now will be  
10 symmetric. It will be on the axis of the ship, because we  
11 are assuming that the weight is the same on both sides at  
12 this point. That's not necessarily true, if one side  
13 floods, for example. But for the symmetric case, as the  
14 center of gravity, as you stack more weight on the deck, for  
15 example, the center of gravity moves up this line. If it  
16 ever crosses the vertical line through the center of  
17 buoyancy -- in other words, if it gets above the axis of  
18 rotation of the ship, then these two forces act to rotate it  
19 in the direction of the angle.

20 Q So instead of righting itself back up, it  
21 continues to roll?

22 A It capsizes, and turns over. That's stability.  
23 Let me give you another example of that, I think one that  
24 maybe you can relate to.

25 A log roller or a lumberjack. Think of a ball --

1 this ball that we drew is now a log. The log is  
2 cylindrical. So instead of looking at a sphere, you are  
3 looking in the end of a cylinder. A ship is more or less  
4 cylindrical. All right, if the log roller is not aboard,  
5 then this looks very much like the sphere. It floats at  
6 some depth, the center of gravity is in the middle, is in  
7 the center, and the center of gravity -- or the center of  
8 buoyancy is some place below and you have got the action  
9 buoyancy and weight lined up together on the same vertical  
10 line, and stable.

11 But now let the log roller climb aboard. And the  
12 center of gravity goes way up. If you put the log roller  
13 on, the center of gravity of the system now goes up say to  
14 somewhere here. And if his balance is not precise and he  
15 leans one way, then that log tends to rotate. It tends to  
16 rotate so that now the log roller, center of buoyancy still  
17 in the same place, but the center of gravity is now off to  
18 one side and the weight is down. And I think you can  
19 clearly see that now because the weight and the buoyancy are  
20 not in the same vertical line, that the log is going to  
21 tend to roll over, capsize. The center of gravity is above  
22 the axis of rotation.

23 So in order to correct that, the log roller has to  
24 start running. He has to do something to get his center of  
25 gravity back above the center of buoyancy to stabilize the

1 system. So he starts running to try to get his center of  
2 gravity back up, up over the center of buoyancy so that the  
3 log will stop rolling. In this case he has gone too far and  
4 it will be rolling back the other way. But if he can't run  
5 fast enough or respond quickly enough to this, he gets  
6 thrown in the water.

7 Q Now, in the examples that you have given, does it  
8 make a difference when you have a liquid cargo, like in the  
9 tanker here?

10 A Yes. That is a case of center of gravity  
11 movement.

12 Let me say first of all, the idea of low center of  
13 gravity. Everybody skiing, for example, you get your stoop  
14 down, get your center of gravity low. High centers of  
15 gravity are bad.

16 Let me -- one other demonstration here. This  
17 thing caught my eye, and it looks like a good candidate for  
18 capsizing. The axis of rotation is fixed here at this  
19 fulcrum.

20 THE COURT: Is there anything in that?

21 THE WITNESS: The center of gravity, you can look  
22 at it and it would appear to be below the axis of rotation.  
23 And this is table, it can be rocked back and forth and aside  
24 from friction that exists in the mechanism here, it tends to  
25 right itself. All right, but turn it upside down, so that -

1 - center of gravity demonstrations often don't work --the  
2 center of gravity is above the axis of rotation, and let it  
3 go. Give it a start. Well, that's friction that is keeping  
4 it upright. It tends to turn over and turn back into the  
5 stable position, which if this was the attitude that you  
6 were trying to maintain, this device would be unstable in  
7 that condition and would capsize.

8 BY MR. COLE: (Resuming)

9 Q Now we were talking about what happens when a  
10 vessel, a ship, has a liquid cargo. Does that further  
11 complicate stability questions?

12 A We talked so far about the center of gravity  
13 rising above the axis of rotation. I think it's really best  
14 to think of the two vertical lines and where they lie  
15 relative to one another. You've got a vertical line through  
16 the center of buoyancy and a vertical line through the  
17 center of gravity and for the vessel to be stable, those  
18 lines have to be the same. They have to be coincident. Or  
19 in the stable configuration.

20 Now this is stable because the line -- vertical  
21 line through the center of buoyancy lies outside of that  
22 through the center of gravity, which tends to make it rotate  
23 back into the condition where the two lines are the same.

24 All right, the condition here, the vertical line  
25 through the center of gravity lies outside of the line

1 through the center of buoyancy, and that tends to make it  
2 rotate so the lines are dispersed further and further apart.  
3 And it turns up -- has to turn upside down in order to get  
4 the lines to align.

5 All right, now you can see that anything that  
6 moves the center of gravity further away from the center --  
7 further outside the center of buoyancy in this case tends  
8 towards greater end stability. Anything that moves the  
9 center of buoyancy towards the center of gravity means  
10 greater stability.

11 Now, you can see a tanker has an advantage, with  
12 this very boxy sections in regard to the movement of the  
13 center of buoyancy. In other words, if this was circular,  
14 you don't get much movement of the center of buoyancy, but  
15 with these very sharp corners, the center of this displaced  
16 volume tends to move to the outside, which is good. It is  
17 like a sumo wrestler spreading his legs apart.

18 On the other hand, liquid cargos -- for example if  
19 this is carrying liquid, when the vessel rolls to one side,  
20 the liquid will pile up on that side, which tends to move  
21 the center of gravity in the wrong way, outside of the  
22 center of buoyancy. So free surfaces, liquid cargos,  
23 present a problem with tankers. And of course you can see  
24 that if you carry more weight, if the vessel is holed, and  
25 you are taking on water on one side, then that further

1 shifts the center of gravity outside of the center of  
2 buoyancy, not only perhaps raising the CG, leading to a more  
3 unstable situation that can lead to capsizing.

4 Q So we talked a little bit about stability. What  
5 is the next concept that we need to understand?

6 A All right. It is really the same -- it's the same  
7 mechanics, except we have got to talk about the -- we talked  
8 about buoyancy where buoyancy and gravity act, and now you  
9 need to recognize that they are really distributed. They  
10 don't really act at points. That they are distributed over  
11 some dimension.

12 What I am doing now is looking at the ship rather  
13 than from the end, from the side. And what this represents  
14 -- this is just a simple schematic -- these curves represent  
15 the distributions of weight and buoyancy. I mean, the fact  
16 that the ship has length, the weight is not at a point,  
17 distributed over the entire length from stern to bow.

18 Q You mean it is heavier in some spots than it is in  
19 others?

20 A This vertical distance represents the weight at  
21 any point. And you can see the ship trims down to  
22 essentially no weight at the ends. And then as it broadens,  
23 carrying more weight in this case in the center, the weight  
24 goes up -- there may be an engine room here which takes some  
25 weight out. But the area under the curve, the sum of all

1 these weights, represent  $W$ , what we have been calling  $W$ .  
2 And in fact, the area under that curve is the weight, the  
3 total weight, if you take that area.

4 All right now, the other curve that is  
5 superimposed here is the buoyancy distribution. The  
6 buoyancy similarly is distributed over the length. It will  
7 be smaller where the displaced volume is smaller, which will  
8 be at the ends, and it will be largest where the vessel  
9 displaces more volume, near the center.

10 All right. And likewise the total area under the  
11 buoyancy curve is the total buoyancy. And the total weight  
12 and the total buoyancy have to be the same. So the areas  
13 under these two curves have to be the same.

14 Q Well, what happens then when they are not in  
15 certain areas of the vessel?

16 A Then we have stress.

17 If they were exactly the same, point for point,  
18 there would be no stress of the type that we are primarily  
19 concerned about. The stress occurs because these two curves  
20 are not the same, point for point. The fact you can see  
21 here that in the middle for this particular case, it says  
22 that buoyancy, it says that buoyancy is larger than weight  
23 in the middle. Which tends to lift the vessel up locally in  
24 the middle. However, the weight is greater than the  
25 buoyancy on the ends, so it tends to sag off on the ends,

1 which tends to bend it. I mean, the weights in the middle,  
2 it's, you know, pushing down on the ends. It is tending to  
3 bend this as a beam.

4 That is called a hogging. That's a hogging model  
5 where it hogs up in the middle.

6 You can have a tanker can do that. It is  
7 typically more the other situation where it sags in the  
8 middle. Where it is more weight over buoyancy in the middle  
9 and buoyancy over weight on the ends. It can be either.  
10 But it is the difference in weight and buoyancy  
11 distributions that produce the stress of primary concern.  
12 The stress that essentially knuckles or breaks the ship.

13 Q How do waves affect this?

14 A It is just again a simple extension of the same  
15 argument. You can view the wave as just a change in the  
16 buoyancy. That this represents a wave, and it is freezing  
17 the picture in time. At some other time the wave will be  
18 somewhere else. But here there has been a wave placed here,  
19 so that we have taken buoyancy out of the middle with the  
20 wave. So here we tend to get buoyancy overweight on the  
21 ends and it sags down in the middle trying to fill the space  
22 created by the trough of the wave.

23 A half -- a quarter of a wave length later -- a  
24 half a wave length later, this trough is now reversed. It  
25 is in the middle tending to make it hog. Lifted in the



1 middle and it falls off on the ends, supporting what we have  
2 here just in still water without waves. So that the ship,  
3 as it -- as it traverses waves, is continuously going like  
4 that.

5 Q These are these tankers. Even though they are  
6 made out of steel, they are bending up and down?

7 A Well, any ship. But particularly these tankers.  
8 It was thought that these ships could never be built in  
9 these sizes because the big waves in storm seas are about a  
10 thousand feet long, which is typically the lengths of these  
11 ships. And this represents a wave which has the length of  
12 the ship. If the waves are longer than that or much  
13 shorter, they don't stress it as severely.

14 The way this was accomplished was to move the  
15 superstructure back to the stern and get a long, continuous,  
16 parallel midsection with all this longitudinal material.  
17 Ships had to be reconfigured, these ships, in order to  
18 handle stresses associated with this, with practical  
19 construction methods.

20 Q What is the ultimate consequence if a ship gets  
21 overstressed in a hogging or sagging motion -- moment?

22 A Well, it can fracture. It's buckling of either  
23 the deck or the bottom probably occurs first, depending on  
24 whether it's hogging or sagging. And then knuckling. Just  
25 takes a problem at set and possibly fracture beyond that.

1 Q You indicated that the longitudinals were designed  
2 to help. How do the longitudinal beams running down the  
3 length of the vessel help prevent this?

4 A Say that we have the hogging situation -- I think  
5 that was the one that was the most critical with regard to  
6 this case -- where the bending of a vessel is up in the  
7 middle, down on the ends. What that tends to do is stretch  
8 the deck -- you are stretching -- this is being stretched  
9 out. In other words, because this is bending on an arc,  
10 this has to become longer and it's being stretched. By the  
11 same token, the bottom is being compressed. All right, so  
12 that there is compression. So these longitudinals that we  
13 talk about, if this is a web and this is a web, these are  
14 the transverse members that we showed on this sketch --  
15 these, the transverse webs that run between the bulkheads,  
16 and this is a longitudinal. This might be twenty feet,  
17 these are, you know, ten, twelve feet high. This member is  
18 from here is being pushed -- it's being pushed, and all of  
19 them are being pushed together by the action of this  
20 hogging. If this member is -- if it's absolutely straight,  
21 it's stiff in compression. But if it has some initial bow  
22 to it -- if it is already bowed, then to press on it in a  
23 bowed or distorted condition, it has no stiffness. It  
24 doesn't really contribute to resisting the stress associated  
25 with this hog. In other words, if this is bowed up

1 initially when you bring the compression on, it bows up some  
2 more, just has very little rigidity. So these members  
3 become ineffective in resisting stress once they're  
4 subjected to these out of plane deformations.

5 Q And is that what happens when a vessel hits rocks  
6 and tears out the bottom of its --

7 A Some of it is bound to occur.

8 Q Now we talked about two things. What is the final  
9 concept that the jury needs to understand to understand how  
10 this vessel reacts if afloat?

11 A All right. It's to take the same concept of  
12 buoyancy and stability and apply it to the tanks themselves.  
13 The tanks with holes in the bottoms.

14 I'd like to consider this just as a tank. It's  
15 not necessarily at this point a tank in a ship, but it's  
16 just a tank that -- whoops, that's the wrong one.

17 (Pause.)

18 It's an open tank with no top. And you take this  
19 tank, it has a depth,  $D$ , and this is what we have been  
20 called draft. It's the distance from the waterline to the  
21 bottom of the vessel. But this is a tank, and you put water  
22 in it, up to the level of the surface, exactly equal to the  
23 level of the surface, so that the displaced volume -- the  
24 displaced volume now is the volume of this vessel below the  
25 waterline. That is exactly equal to the weight of the water

1 in the tank, by definition.

2 Now take the bottom away, and what happens?

3 Q What you say take the bottom away, you mean --

4 A Just remove the bottom. These dotted lines mean  
5 that the bottom has been taken out. Nothing happens.  
6 Because the water inside, this just becomes an open  
7 cylinder or rectangle and the water is stable. The water  
8 stays at that level if I take the bottom away.

9 All right, now go to the next picture and let's  
10 say that I want to put a weight of oil in the tank equal to  
11 that original weight of water.

12 (Start tape C-3653)

13 Now, oil weighs less -- oil weighs less than  
14 water. So it will take a bigger volume of oil to get the  
15 same weight. In other words, my displacement is the same.  
16 So in the concept of displacement it takes a bigger volume  
17 of oil to equal the same weight. So I take the water out  
18 and put the oil in and it rises up above the level of the  
19 surface outside, because it is a bigger volume for the same  
20 weight.

21 Now take the bottom away, and what happens?

22 Nothing. See, the concept -- people are under the  
23 misconception that an oil spill is like the bottom falling  
24 out of a bucket. That the bottoms gets a hole in it and the  
25 oil gushes out. That doesn't happen -- doesn't empty. It

1 will go down to the level for which the water displaced is  
2 equal to the weight of the oil in the tank. And it stays  
3 there. Now, there may be some seepage and some washing back  
4 and forth in this case, but basically the level is  
5 established.

6 Q Well, what happens then if you have more oil, the  
7 weight of the oil in your tank is greater than the weight of  
8 the water displaced?

9 A All right, take O here, this O, oil, this is O.  
10 Take O, O level is this equilibrium level. The amount of  
11 oil for which I can take the bottom away and nothing  
12 happens. So put more oil in that and take the bottom away  
13 and the oil runs out, will go out the bottom until it  
14 reaches the level O, for which the system is in equilibrium,  
15 and then it stops.

16 Q Well, what happens then if oil is below?

17 A All right. If you put less in than O, which is  
18 equilibrium, take the bottom away, water comes in the tank.  
19 Water will come in under the oil and float the oil up to a  
20 level so that the total weight of the water plus the oil is  
21 again equal to the weight of the displaced volume of water.  
22 So in this case the oil won't go quite back up to level O.

23 Q Now, does it make a difference that there -- in  
24 your hypothetical, that there -- in your hypothetical, it's  
25 an open atmosphere. What would happen if you had it closed?

1 Oh, you've got another couple there. What are  
2 these?

3 A It demonstrates the same thing. Again, level O is  
4 the level for which there is no bottom. Oil is above the  
5 level of the water and in equilibrium. Now, imagine the  
6 tide falling. If the tide falls a certain amount, the level  
7 of the water level outside drops and oil runs out. But oil  
8 runs out only until it reaches a new level above the new  
9 waterline, and then it stops. On the other hand, the ship  
10 is sinking, so that the waterline is rising relative to the  
11 tank. The waterline has come up. This is the equilibrium  
12 level with no bottom. If the waterline rises, which can  
13 either be a rising tide or a sinking ship, then again water  
14 would come back underneath the oil and float the system up  
15 until we reached a new equilibrium level of oil above the  
16 original one. And above the new waterline.

17 Q Now what happens when we put a top on it?

18 A All right, now if you go to the equilibrium case,  
19 and the bottom is -- overflow. O is equilibrium, so that if  
20 I take the bottom out, it stays put, nothing happens. Put  
21 the bottom back on, put some more oil in -- we'll put a top  
22 on. And assume that the top is airtight. Then take the  
23 bottom away. Now before when we took the bottom away with  
24 no top, the oil ran out. But the top is airtight. What  
25 happens? Nothing. There may be a little bit of movement

1 because of the compressibility of air. But generally in  
2 order for oil to flow out of the bottom, it has to be  
3 replaced by an equal volume of air in the top. And if the  
4 air can't get into the top, there is no way oil can run out  
5 of the bottom. The system is locked, it's got a vent lock.  
6 It tends to draw a vacuum. The weight of this oil is  
7 hanging on the air and it is creating a vacuum in the air.  
8 It is what we started calling the soda straw system for oil  
9 spill controls. Just vent lock the tops of the tanks and  
10 oil can't go out the bottom. You know a soda straw, you  
11 fill a soda straw with liquid and put your thumb over the  
12 top and it doesn't go anywhere. Well, that's what this is.

13 On the other hand, if you cut a small hole in the  
14 top and overfill it with oil above O, cut -- take the bottom  
15 away, now you let air come in to the top of the tank so that  
16 oil can go out the bottom, but slowly. At this point we  
17 haven't considered how fast any of these thing occur. But  
18 it takes time for this to happen, and the smaller this hole  
19 the longer it takes for the oil to leak out and reach the  
20 level O. It will ultimately get there. The smaller the  
21 hole the longer the time will be required for the level to  
22 drop, the oil to leak out the bottom, and to achieve the  
23 level of equilibrium stage.

24 Last point. Go to the same case, but now instead  
25 of removing the bottom entirely, only take part of the

1 bottom out, but such that the area removed from the bottom  
2 is still much greater than the area of the little hole in  
3 the top. If that's the case, these two situations are  
4 essentially the same. But the rate -- in terms of rate.  
5 They are certainly the same, they are both going to reach  
6 the same level. But the rate at which it reaches the  
7 equilibrium is controlled by the small hole.

8 In this particular case, as we'll see -- this is  
9 what I wanted to do to go on to explain the analysis we've  
10 got of the Valdez -- that that's the case. That we've got  
11 holes both in the tops and in the bottoms of the tanks. But  
12 the holes in the tops are much smaller than the holes in the  
13 bottoms and in fact the spill is controlled from above and  
14 not from below.

15 Q So what you're saying is that it is not the size  
16 of the damage that is done to the bottom that controls the  
17 oil loss, or water gained, but rather the size of the  
18 openings up above?

19 A It's the vents in the top. It is important the  
20 tanks have to be holed, but the sizes of the holes in the  
21 bottom almost no matter how big they -- in this particular  
22 case they are a lot bigger than the vents in the tops.

23 Q Did -- did you develop a computer program to  
24 demonstrate this?

25 A Yes.



1 Q And how did you do that?

2 A Well, we used something called the Darcey  
3 Equation. It's like pressure -- a pipe. You've got  
4 pressures at two ends of a pipe. And if they are different,  
5 there's a flow occurs through the pipe. Well, this whole  
6 thing could be viewed simplistically as a big pipe, all the  
7 way from the ends of these vents, the inert gas system and  
8 the vents and the ballast tanks from where they're exposed  
9 to atmosphere to the bottom of the tanks where they are  
10 exposed to the water pressure due to surface elevation --  
11 that could be looked at as one big pipe, and you just  
12 calculate -- can predict the flow rates through that system.

13 Q Do you have a way of predicting the loss to the  
14 oil that would have occurred on this vessel when it was on  
15 the reef?

16 A That was the first part of the program was a flow  
17 model to fix the attitude of the ship and fix the contents  
18 in terms of oil and water at some initial state, and then  
19 start time and then predict the flow rates out of and into  
20 the oil tanks and the flow of water into the ballast tanks  
21 with time.

22 Q And have you done a graph to show that?

23 MR. CHALOS: Your Honor, may we take a break at  
24 some point? We're coming up to about a quarter after 12:00.

25 THE COURT: I think that's a good idea. We'll

1 take our break, too, ladies and gentlemen. Don't discuss  
2 the matter among yourselves or form or express any opinions.  
3 We'll take about ten or fifteen minutes.

4 THE CLERK: Please rise. This Court stands in  
5 recess subject to call.

6 (A recess was taken from 12:11 o'clock p.m. until  
7 12:36 o'clock p.m.)

8 (Defendant's Exhibit Number AN  
9 was marked for identification.)

10 THE CLERK: This Court now resumes its session.

11 THE COURT: You may resume now, Mr. Cole.

12 BY MR. COLE: (Resuming)

13 Q Professor Vorus, when we took our break we were  
14 talking about the computer program that you used to predict  
15 the oil loss. The exhibit that is right there, Plaintiff's  
16 Exhibit Number 166, is that graph that you designed to help  
17 explain the oil loss, the rate of loss?

18 A It's a graph of the output of the computer program  
19 that was written to predict the oil loss, water gain, versus  
20 time. This was a program that was developed -- you have to  
21 specify the attitude of the vessel. Here that was specified  
22 as the departure condition. The departure draft --

23 Q Which was about 56.?

24 A 56.3 feet. Essentially zero list or heel which is  
25 the rotation. And I think a slight trim by the stern.

1           And this is a plot versus time. This lower scale  
2 here is the time in minutes after grounding. T equal 0 is  
3 the time that the tanks are opened up. The ship is now  
4 fixed on the reef and one of these curves is the rate of oil  
5 loss predicted by that program and barrels per hour -- now  
6 you need to multiply, if you want to use -- this is the loss  
7 rate barrels per hour, you have to multiply this number by  
8 one million. So it starts off at the initial time losing  
9 oil at a rate -- this is the total tanks -- losing oil at a  
10 rate of about one and a half million barrels per hour, a  
11 barrel being 42 gallons.

12           The second curve is the cumulative oil loss. This  
13 is the oil loss versus time after the holes are opened with  
14 the vessel in position, as if it were on the reef, as  
15 existed approximately at the time. The numbers here is  
16 predicting about one and a half -- here for the cumulative  
17 oil loss, this scale has to be multiplied by 100,000.

18           So it indicates two things. One that the spill is  
19 over, at least initially, in about eighteen -- twenty  
20 minutes. That those tanks are -- all are about seventy-five  
21 to eighty feet of oil. It was 85 percent loaded. And their  
22 equilibrium position, the point 0 that I talked about, is  
23 about ten percent above the draft of the vessel, so 62 feet.  
24 So the tanks come down from seventy-five to eighty -- to  
25 eight feet depending on the tank, down to around 62 feet,

1 and then they stop. And that takes about less than twenty  
2 minutes according to this calculation. The prediction is  
3 at that time that we have lost about one hundred and sixty  
4 thousand barrels.

5 Now Mr. Kunkel's testimony cited number like a  
6 hundred and forty thousand, losing ten to fifteen feet of  
7 oil. This maybe is a little higher, but certainly in the  
8 same range. At this time we have lost about twelve percent  
9 of the cargo, and no doubt the rest of it -- twenty five  
10 percent totally, the other half, most of that occurred when  
11 the tide went out. The tide went out, you drop another  
12 twelve feet. The tide goes down, the oil runs out, and that  
13 constitutes the bulk of the spill. After the first low tide  
14 no doubt there was seepage back and forth, but not major  
15 change in oil.

16 Q So any bubbling that people would have seen as  
17 they came up, would have been kind -- at like say 3:30, 4:00  
18 o'clock, 5:00 o'clock in the morning, that would have been  
19 as a consequence of the low tide and the water level going  
20 down, and at the same time the oil level correspondingly  
21 going down and the vessel losing more oil.

22 A And falling with the tide.

23 Q Well, what happens next then? You've lost oil.  
24 What else is happening at the same time?

25 A All right, this is a graph out to thirty minutes.

1 This one is to eighteen minutes. This is the same --  
2 essentially the same graph in that this is the cumulative  
3 oil loss as on the preceding graph, and now instead of  
4 barrels we are in tons. This is thousands of tons of oil  
5 lost versus time out to thirty minutes. You can again see  
6 that the oil loss is stabilized at about sixteen, seventeen  
7 minutes.

8           The other curve is the rate of water gained.  
9 We've got the forepeak tank, which was initially empty. The  
10 two ballast tanks on the starboard side were initially  
11 empty. So this represent essentially water -- the net water  
12 coming in to those tanks versus time. Again out to thirty  
13 minutes. The oil is stabilized but the water -- the water  
14 is continuing to increase. And the reason the rates are  
15 different -- the reason the rates are different is because  
16 of the size of the small hole in the tops of the tanks.

17           Q     Well, now, what you have been referring to is  
18 Plaintiff's Exhibit Number 165, is that correct?

19           A     Yes.

20           Q     Now, do you have a diagram there that will help  
21 explain the difference between the oil loss and the oil gain  
22 -- the water gain?

23           A     All right. This is Exhibit 168. What you are  
24 looking at here is again this same plan view of the main  
25 deck that we have had up here on several occasions for

1 different reasons. BT represents ballast tank vent system.  
2 Now the ballast tanks on this ship are the forepeak tank --  
3 it's a tank right in the front, just forward of the forward  
4 bulkhead. Then number 2 starboard is a ballast tank that  
5 was initially empty. And number 4 starboard is a ballast  
6 tank that was initially empty.

7 All right now, all three of these tanks were holed  
8 during the accident. You will notice the vents here. The  
9 forepeak tank has two ten inch vents and one two and a half.  
10 And that is a good bit of area. As a result of that the  
11 forepeak tank stays up pretty well with the waterline.  
12 There is some lag. In other words, there is some time  
13 required for the changes to occur as controlled by these  
14 vents. But the forepeak tank is relatively open. In other  
15 words, the openings in the top are relatively large. So  
16 things occur more quickly there.

17 Q Wait a minute. When you say things occur, does  
18 that mean water is coming in?

19 A The water fill occurs more rapidly in the forepeak  
20 tank than it does in these two ballast tanks because the  
21 vents in the top are larger. They can pass more air more  
22 rapidly.

23 Q Which way is the air going, in or out?

24 A The air is coming out of the vents as water comes  
25 in the bottom. This is really the reverse situation from

1 the one I demonstrated. Oil will go out -- this is the  
2 system down here that controls the oil loss. Oil goes out,  
3 air has to come in through this system. Here as water comes  
4 in, air has to come out. It is pushed out through these  
5 vents.

6 Q So would it be fair to say that the water gained  
7 in the forepeak is relatively quick?

8 A The forepeak gains water fast. Relatively fast  
9 compared to tanks 2 and 4. These have only one six inch and  
10 one four inch vent in each tank. It is the same with both  
11 of them.

12 All right, in these -- the four and the six vents  
13 in these tanks are much more constricted in fact than the  
14 vents associated with the cargo tanks.

15 Q Now before you get into that, you are assuming now  
16 that each one of these tanks is like a separate little  
17 container, is that correct?

18 A Yes.

19 Q Like you were talking about how the water and the  
20 oil comes in in your previous examples, instead of having  
21 one tank, we're talking about about fifteen or sixteen  
22 tanks?

23 A That's right. They are all gaining water or  
24 losing oil at the same time. Depending on the constriction  
25 in the top which allows the flow to occur, and then the

1 curves I have just shown with the cumulative amounts of oil  
2 and water, lost or gained with time.

3 Q Now would you explain to the jury why it is that  
4 oil is lost faster now? What type of vents do we have on  
5 the cargo holding tanks?

6 A All right. This is the inert gas system that you  
7 have heard about that keeps the inert atmosphere on the  
8 tanks to avoid explosion. There is a 24 inch diameter main  
9 that comes out of the engine room. This is flue gas, the  
10 exhaust gas out of the boiler that is washed and is pushed  
11 through this 24 inch diameter pipe. On that 24 inch  
12 diameter line are pressure vacuum relief valves that they  
13 lift if the pressure exceeds about 3 psi to relieve the gas  
14 and they open the vacuum if the gauge pressure, the pressure  
15 below atmosphere is about 1 pound per square inch.

16 All right, in addition there is what is called the  
17 liquid breaker which is basically a U pipe with liquid in it  
18 that allows for a high volume of flow or air or gas. This  
19 is for protection of the system and protection of the tanks,  
20 in that the liquid can either be blow out or sucked out, and  
21 when it is, by vacuum or by overpressure, at essentially  
22 those same settings, when that occurs the system is open to  
23 the atmosphere. The mechanical pressure vacuum relief  
24 valves will reseal. The pressure drops within those limits  
25 of minus 1 to plus 2 3/4, they will reseal. But the liquid



1 breaker won't. It has to be recharged with a water-glycol  
2 solution in order to -- to secure the system.

3 All right, then off the 24 inch main, we have  
4 these branch pipes that are twelve inch lines going to each  
5 of the cargo tanks. At each of the tank access openings  
6 there's an additional pressure vacuum relief valve,  
7 mechanically actuated, on a four inch line.

8 All right, the valves in this system -- there are  
9 valves here at just upstream in the branches at the cargo  
10 access hatches. But the venting for this system is the  
11 mechanical pressure vacuum relief valves -- this is the  
12 cargo tanks -- to let air in on four inch lines at the tank  
13 accesses -- that's the first level. Then we've got the  
14 pressure vacuum relief valves on the 24 inch main as well as  
15 the liquid breaker. And under the vacuums created by that  
16 bottom opening, all of these valves will open very quickly  
17 after the spill, or after the opening occurs.

18 Q And when the opening occurred and the oil started  
19 to leave the vessel, how fast was this air coming in these  
20 tanks?

21 A Well, up here because of the high constriction in  
22 the vents on the ballast tanks, its a choke flow. I mean,  
23 its sonic velocity in the throats around the balls. It's --  
24 no matter what the pressure difference is across these vents  
25 is initially, it's a sonic flow -- speed of sound of the air

1 through those vents.

2 Q And would it be making noise?

3 A I am sure it would be making -- screaming.

4 Q And what -- what then -- based on this you were  
5 able to reach the diagram that you just -- the flow rates of  
6 water in and out, is that correct?

7 A That's right. These really control the rate at  
8 which oil goes out, these two systems. It really doesn't  
9 matter what's happened to the bottom. The holes there are so  
10 much larger than the equivalence of four and six inch pipes  
11 and the constrictions of this system, that these two control  
12 -- absolutely control the rate at which water comes in and  
13 oil goes out, almost independently of the size of the holes  
14 in the bottom.

15 Q And your program was designed to take that into  
16 consideration, is that correct?

17 A That's right. These systems were both modeled in  
18 that program.

19 Q Now, did you -- the second part -- you had a  
20 second part of your computer program.

21 A All right. This --

22 Q Go ahead.

23 A This program was then coupled -- what you see to  
24 this point is the ships attitude is fixed. The tanks are  
25 opened and the flows are allowed to occur and we predict

1 what happens in time. We then took that program and coupled  
2 it to a ship hydrostatics program, and that program, for a  
3 given loading of the tanks, will predict its attitude. This  
4 program predicts the loading in the tanks at any time. The  
5 other program predicts the change in attitude of the ship  
6 with the change in loading.

7 All right, so this previous program changes the  
8 loading. That goes into the hydrostatics program which  
9 changes the attitude of the ship. The attitude of the ship  
10 then comes back to this program and that predicts new flow  
11 rates and changes in loading. That goes back to the  
12 hydrostatics program to predict the new attitude of the  
13 ship, and those two are flip flop, sequentially step forward  
14 in time together, to predict what would have happened had  
15 the ship then come free of the reef after some starting  
16 time.

17 Q Now, let's take an example. Did you run one when  
18 the vessel had come off ten minutes after it initially hit  
19 the reef?

20 Okay, before I ask you that, it could have been --  
21 it just refloated off by its own, is that correct?

22 A We ran -- once we got these programs written and  
23 working, we ran a number of different scenarios as to when  
24 it comes off is important because that becomes the initial  
25 condition for which the ship attitude starts changing which

1 in turn changes the rates at which water comes on and oil  
2 goes off. But we did one for which the ship was holed but  
3 never stopped. And then we did it for different starting  
4 times on the reef. In other words, used the preceding  
5 curves and went to a particular time on those -- this is ten  
6 minutes -- and that became the initial condition then at  
7 which the ship is refloated at that time and then the flow  
8 and the vessel attitude change is allowed to progress in  
9 time out to either a new equilibrium condition --

10 Q An equilibrium condition meaning what?

11 A Equilibrium condition meaning that the ship  
12 remains floating and upright. Or the consequence, the  
13 alternative is capsizing or sinking or both.

14 Q And if the vessel refloats after ten minutes after  
15 the grounding, what would have happened?

16 MR. CHALOS: Objection, your Honor. Speculation.  
17 Not probative. Irrelevant.

18 THE COURT: Well, consistent with my earlier  
19 ruling, we will overrule the objection, and we'll be able to  
20 take this matter up at a later time.

21 You may answer the question.

22 THE WITNESS: Well, this assumes that the vessel  
23 came off the reef. It was allowed to lose oil and gain  
24 water for ten minutes according to the preceding curves, and  
25 at ten minutes it was kicked off or set adrift and coupled

1 to the other program allowing for attitude changes. This is  
2 the oil loss continuing out to seventy five minutes. Now  
3 at this point, as it comes off -- and I think it may be  
4 appropriate at this point to put up the other --

5 Q Now you are referring now to Plaintiff's Exhibit  
6 169.

7 A What this is, this is a profile view of the ship,  
8 showing the transverse bulkheads which separate the tanks.  
9 This is the bow, forepeak tank. This is along the center  
10 line. This view is right down the center of the ship, so  
11 all you are seeing, you're seeing the forepeak tank and then  
12 all the center oil tanks. The oil is red, the water is  
13 blue. All right, then the figures down below are sections.  
14 This section goes with this tank. In other words, looking  
15 in from the end so that this level is the level right in the  
16 middle and then this is a port tank which is full, and then  
17 this is a starboard tank corresponding to number 5.

18 All right, this section likewise is 4, this is a  
19 section through 3, the section through 2, the section  
20 through 1, and the section through the forepeak.

21 All right, with red being oil at this particular  
22 time and blue being water. Now this time is ten minutes.  
23 In other words, it has been sitting on the reef for ten  
24 minutes and this is the configuration that it has reached.  
25 You will note that there is water indicated under number

1 four center tank. Now that is because that tank was loaded  
2 to about sixty feet initially at departure at the terminal.  
3 The equilibrium, the point 0 for the tank is about sixty two  
4 feet. So this predicts that when that tank was opened,  
5 rather than oil going out, water came in in a small amount.

6 Now I should say that the precise position of the  
7 ship on the reef is somewhat indeterminate. I assumed that  
8 it was fixed on the reef at the departure draft. It could  
9 have been raised slightly on the starboard side. I don't  
10 think it makes significant difference to the outcome of this  
11 exercise.

12 All right, so this is after ten minutes showing  
13 the levels of oil in the tanks. It has been freed and the  
14 first movement is a slight heel -- it changes draft, it  
15 comes up, it rises up slightly because it has lost weight  
16 net, and it heels, rotates slightly to port. You can see it  
17 has rotated in this direction, opposite to the direction of  
18 the ground as it came off.

19 Q Why did it heel to port?

20 A Because it had lost more weight on the starboard  
21 side than it had gained.

22 Q It had lost -- the weight of the oil that it had  
23 lost had not been replaced by --

24 A That exceeded the water that had been lost.

25 Q Okay.

1 A All right.

2 That's this point. And you can see that as it  
3 went over to port, it dropped a little more oil. The oil  
4 rate went back up and then stabilized again at less than  
5 thirty minutes. At that point, it has lost seventeen  
6 percent of the cargo. Now the total spill we know is twenty  
7 five. About twelve percent was lost during the going out  
8 tide as it stayed on the reef. This says that had it come  
9 free, we would have come free, the oil would have  
10 restabilized at seventeen percent cargo loss.

11 Now some people have -- I have heard rumor that  
12 some have claimed that the best thing that could have been  
13 done here was to free the ship, float the ship and to  
14 minimize the spill, because then it doesn't have to face  
15 that going out tide on a reef. And that's true, seventeen  
16 percent versus twenty five percent. Had it stayed afloat.

17 But the prediction here is that after seventy five  
18 minutes, it capsizes, turns over, and the displacement at  
19 that time is up around 260,000 tons.

20 Q Now, do you have the next time period?

21 A The remainder of these charts are the attitude of  
22 the ship every fifteen minutes from the ten minute start out  
23 to capsizing.

24 Q What's the next one?

25 And that has been identified as 170.

1           A     This is at fifteen minutes. You can see at  
2 fifteen -- now the times here are different. This is  
3 fifteen minutes from ten. So this is at twenty five. This  
4 picture corresponds to twenty five minutes. The oil has  
5 restabilized, there is no more oil spilling. About all that  
6 has happened to the attitude of the ship during this time is  
7 a rotation to starboard. There is very little change in  
8 draft, there is very little trim change.

9                     But in that first fifteen minutes after freedom,  
10 our program predicts that we get a roll back over to  
11 starboard. Went to port first and then back to starboard.  
12 It is at 3 1/2 degrees.

13           Q     Why is it going to starboard?

14           A     It goes to starboard now because the oil has  
15 stopped and we are now picking up water in the ballast  
16 tanks.

17           Q     On the starboard side?

18           A     We have ceased losing oil on the starboard side,  
19 we are taking on water in the starboard side ballast tanks  
20 and she begins to go over towards the starboard side. You  
21 can see the forepeak tank is staying pretty much with the  
22 attitude of the vessel. It is full. The ballast tanks are  
23 lagging way behind because of the constrictions in the vents  
24 on the deck. In other words, they would tend to come up to  
25 the water line, because that's water. But because of the



1 lag in the system associated with the constriction of the  
2 vents, the ballast tanks stay somewhat behind the motion.

3 Q Now, thirty minutes after, do you have one for  
4 that?

5 A At thirty minutes, the heel angle is up to eleven  
6 degrees. It's now going down by the stern. It's trimming -  
7 - or down by the bow. The bow is dropping down. It's at  
8 almost one degree. The draft has increased to sixty feet.  
9 It has taken a very noticeable heel angle to starboard.  
10 Water is now coming back under all the oil tanks. You see,  
11 as the vessel drops both to starboard and down by the bow,  
12 that creates a higher draft. You know, the ship is sinking.  
13 So that makes oil come back -- or water come back under the  
14 oil and add more weight. And more weight makes it sink  
15 further. And the deeper draft makes more water come aboard.  
16 And it is happening throughout now, the ruptured tanks. But  
17 the effect is to make the bow go down and the ship list to  
18 starboard.

19 Q How does that effect the ship's stability as you  
20 get the greater weight on the starboard side?

21 A Well, you remember the lesson, the center of  
22 gravity now is moving further and further outside of the  
23 vertical line through the center of buoyancy, which is  
24 tending towards a capsizing situation, an instability.

25 Q That was Exhibit Number 171?

1           A     That's thirty minutes, which is actually forty  
2 minutes on this graph.

3           Q     And then at, is it forty five?

4           A     This is at fifty minutes.

5           Q     Fifty minutes. And this is Plaintiff's Exhibit  
6 Number 172.

7           A     The foredeck is now awash.

8           Q     When you say awash, what do you mean?

9           A     Well, there is water over the deck edge. The trim  
10 is one and a half degrees bow down, the heel is now almost  
11 twenty degrees. You couldn't walk on the decks in this  
12 condition. You can see the ballast tanks on the starboard  
13 side are filling up as well as are the oil tanks with the  
14 combination of oil and water. These will ultimately fill  
15 completely up with the tank volume being oil on top floating  
16 on water on the bottom. The draft is up to sixty six --  
17 almost sixty six and a half feet.

18                     And then the ultimate even here which occurs at  
19 sixty five minutes relative to start, seventy five relative  
20 to grounding, shows that the -- you know, you've got water  
21 half way across the deck. If the watertight doors in the  
22 engine room are not shut, the engine room is taking on  
23 water. She at this position has become unstable. Heavy  
24 water on board. And the process from this point would be a  
25 slow roll onto her back, then flooding in the engine room

1 area and no doubt sinking if the water was deep enough.

2 Q And this is Plaintiff's Exhibit Number 173, is  
3 that correct?

4 A Yes.

5 Q Now did you run any of the scenarios like you just  
6 did if this vessel had never been grounded and it just  
7 suffered the damage and stayed afloat?

8 A Yes.

9 Q Would you explain to the jury what happened then?

10 A We started running at different times. And the  
11 plan was to go on out and start it at successively greater  
12 and greater times, but it became obvious very quickly that  
13 the longer it stayed on the reef the more quickly it sank  
14 after it came off. And that is because as more space, the  
15 longer it stays on the reef, the more oil is lost, the more  
16 space you had for water, and water is what sinks the ship,  
17 not the oil -- that capsizes the ship, not the oil.

18 So we're looking at a conservative situation here  
19 by starting, freeing the vessel quickly from the reef.

20 Q What about when you assume it came off without  
21 being grounded at all, what would have happened?

22 A The time the sinking was about ten minutes longer  
23 than after ten minutes.

24 Q And did you run any scenarios at all that this  
25 vessel would have reached equilibrium?

1           A     There's been some testimony about slider valves, I  
2 believe, that they're the valves on the inert gas system  
3 which are at the hatch openings. If you'll remember --

4                     (Pause.)

5           The valves here on the branch lines on the inert  
6 gas system are butterfly valves which could be shut. Now,  
7 if those valves are shut, then the pressure relief, the  
8 vacuum relief provided by the PV and liquid breakers on the  
9 main is eliminated, so that the only vacuum relief then if  
10 these valves are shut are through the pressure vacuum  
11 breakers on the four inch lines right at the cargo access  
12 hatches.

13           All right, so that -- if those valves are shut,  
14 that provides a greater constriction to air flow into the  
15 tanks on the cargo tanks and slows down the rate of oil  
16 loss. All right, so then when it comes off the reef then  
17 there is not as much space aboard for water because the oil  
18 loss has been slowed down.

19           And we did -- we ran it starting at 0, assuming  
20 the tanks were holed and it passed over the reef and free  
21 floated, and in fact with the slider valves shut in that  
22 case, it does not capsize by this prediction. It comes back  
23 to equilibrium. It's at a high heel angle and at a high  
24 trim, but it continues floating.

25           That is also the case at five minutes. At ten

1 minutes however, which was the case run here with the  
2 sliders shut, enough oil has still be lost then so that  
3 capsizing is predicted and then for any later time, it would  
4 predict capsizing, whether the valves were shut or not.

5 Q When you were asked to do this, you were assumed -  
6 - you were asked to assume the damage that was done to this  
7 particular vessel, the Exxon Valdez, as you saw it, is that  
8 right?

9 A Yes.

10 Q And the scenario then with -- just to go over one  
11 more thing -- if the vessel had not grounded whatsoever, and  
12 the slider valves had not been closed, what was your  
13 prediction as to when the vessel would have capsized?

14 A Well, I don't have the numbers right in front of  
15 me, but I think it was -- this was seventy five minutes  
16 after -- or after ten minutes on the reef. I think it was -  
17 - it added about another ten minutes to that time, as I  
18 recall.

19 Q And every time -- any time after that it just  
20 speeded it up?

21 A That's right.

22 Q And when was the most critical time period for  
23 this vessel in terms of the danger that was posed to it by  
24 the tides?

25 A Well, I think it had to be on the going out tide.

1 The vessel was pivoted, the fulcrum there at -- between  
2 cargo tanks 2 and 3, and as the tide went out that became a  
3 hard support near the center of the vessel. A hogging -- a  
4 hogging configuration with the ends of the ship hanging over  
5 tending to bend the vessel about that point. So as the tide  
6 drops, more and more of the support of the vessel is from  
7 the rock and less and less from buoyancy of the ship,  
8 producing a situation where it is just propped up in the  
9 middle. And I think if you do that stress calculation, I  
10 think that you'll find that unless the structure relieves  
11 that point support, that the vessel is overstressed.

12 The thing I think that saved it was that the  
13 structure did crush -- it crushed and relieved the magnitude  
14 of that concentrated load at the rock, and let more of the  
15 load be taken by buoyancy distributed over its length.

16 Q Now, there was no damage done to the port side in  
17 the initial grounding, is that correct?

18 A That's -- that's correct.

19 Q If the port side had been one of the -- let's say  
20 cargo tank number 5 were holed for some reason, what would  
21 happen then?

22 MR. CHALOS: Objection, your Honor. This is sheer  
23 speculation again.

24 THE COURT: Objection overruled.

25 THE WITNESS: I'm not --

1 BY MR. COLE: (Resuming)

2 Q Would the amount of -- let's say that, and for  
3 instance --

4 MR. CHALOS: Your Honor, there is a question  
5 pending, and the witness said, I'm not -- And Mr. Cole  
6 interrupted.

7 THE COURT: Let him answer the question, Mr. Cole.  
8 You'll have to be satisfied with the question and answer.  
9 Can you answer the question?

10 THE WITNESS: Cargo tank number 5 would have lost  
11 oil at a rate similar to what we have shown here for the  
12 other tanks, and ultimately water would have begun to come  
13 back in to the ruptured port side tank.

14 BY MR. COLE: (Resuming)

15 Q Would it have been under the same theory that it  
16 depends on the assumption that the hole is greater -- that's  
17 caused by the rock would be greater than the aperture above  
18 the tank?

19 MR. CHALOS: Objection, your Honor. Now we're  
20 really speculating.

21 THE COURT: Mr. Cole, you're going pretty far off  
22 track. I am going to sustain the objection. You'll have to  
23 get back on track.

24 MR. COLE: I have nothing further.

25 CROSS EXAMINATION

1 BY MR. CHALOS:

2 Q Good afternoon, Mr. Vorus. Professor Vorus, I'm  
3 sorry.

4 You say your initial contract was for \$25,000?

5 A Yes. That's my company now, that's not me. I had  
6 to hire three people to do this job. But yes, it was for  
7 \$25,000.

8 Q Are you -- is there a contract now that is greater  
9 than \$25,000?

10 A There's been an amendment to the contract to allow  
11 for the extra time that I have spent here in Alaska.

12 Q How much is your contract presently?

13 A \$40,000.

14 Q How much have you billed the State so far?

15 A About \$12,000.

16 Q And how much do you anticipate billing them before  
17 its over?

18 A Well, \$40,000 is conservative. That's certainly  
19 adequate.

20 Q It could be greater?

21 A No. It would be no greater than that.

22 Q How much is this \$40,000, if that's what you bill,  
23 how much does that represent of Vorus and Associates annual  
24 income?

25 A Not a large amount. I have a contract with a



1 propeller manufacturer that pays Vorus and Associates \$4,000  
2 a month. I have a contract with BP Oil on one of their  
3 Alaska trade tankers which is \$40,000. It's not the only  
4 thing we're doing.

5 Q I understand that, but based on the numbers you  
6 just gave us, it is about a third of your annual salary.

7 A Well, I don't have a -- no. I mean, that is the  
8 backlog at the moment. I mean there is work -- there's work  
9 coming and going all the time.

10 Q Now I take it that you don't hold any Coast Guard  
11 issued licenses.

12 A No.

13 Q You are not a master?

14 A No.

15 Q Chief mate?

16 A No.

17 Q Chief engineer?

18 A I own a 52 foot yacht that --

19 Q Have you ever been aground?

20 A No.

21 Q Now you have never sailed as a crew member on a  
22 merchant ship, have you?

23 A No, but I have spent many hours on merchant ships.

24 Q In your work at Newport News?

25 A Yes, and since.

1 Q Now you have never sailed as a crew member on a  
2 tanker, I take it?

3 A No.

4 Q Let's talk a little bit about your background and  
5 your experience. You spent some time down in Newport News,  
6 I think you said 12 years?

7 A 10 total, 7 in residence, 3 on educational leave.

8 Q And you have written a number of papers over the  
9 years?

10 A Yes.

11 Q Is it fair to say that your expertise lies in main  
12 propulsion rather than construction of vessels?

13 A You mean construction of main propulsion plants  
14 rather than construction of vessels?

15 Q Yes.

16 A You'll have to clarify that.

17 Q Well, as I read your resume, it seemed to me --  
18 and you can let me know if I'm wrong -- that your experience  
19 lies in the construction of main propulsion equipment and  
20 the effects on vessels of main propulsion equipment?

21 A That was my job at Newport News by definition. I  
22 was a manager of machinery engineering. We got involved in  
23 many aspects of vessel design that involved interfaces with  
24 the machinery and many that didn't.

25 Q But your area was the main propulsion. The

1 interfacing you're talking about is putting a propeller or a  
2 shaft or an engine into a vessel that has been constructed?

3 A By definition of the job, it was machinery.

4 Q Could you tell the jury what we mean by machinery  
5 and main propulsion equipment?

6 A Well, the main propulsion machinery is, at Newport  
7 News naval produced diesel ships, so at the time it was  
8 everything from boilers, turbines, condenser, main shafting,  
9 propellers, it included auxiliaries, diesel, diesel  
10 generators, steam driven generators, it included steering  
11 gear, rudders, deck machinery, which would be windlasses.  
12 On military ships it was weapons elevators -- simply the  
13 machinery aboard the ship.

14 Q And you would consider that to be your primary  
15 area of expertise?

16 A No, I don't. That was the job that I had at  
17 Newport News between the years of 1963 and 1973.

18 Q As I read your resume, since 1973, you have been  
19 at the University of Michigan.

20 A Yes.

21 Q So your practical experience, your field  
22 experience, if you will, ended at that point?

23 A It did not. I have had a great deal of field  
24 experience since being at Michigan.

25 Q In what way?

1           A     Activities such as this involved with not so much  
2 trials, but with shipping companies, with ship yards,  
3 problem identification, diagnosis, rectification, that's  
4 what Vorus and Associates does. Vorus and Associates is not  
5 a research company. I do my research for the University of  
6 Michigan. Vorus and Associates is an engineering company  
7 and the engineering it does is by and large on ships, ship  
8 problems.

9           Q     Do you go out there yourself or do you send your  
10 associates?

11          A     Oh, I go.

12          Q     Yourself?

13          A     Yes.

14          Q     Now I take it that you yourself have never been  
15 aground. I mean, you said you haven't been aground on your  
16 boat, but I take it you have never been aground on another  
17 ship?

18          A     Oh, I have been aground on my boat.

19          Q     You have?

20          A     Yes.

21          Q     Oh, I thought you said you hadn't.

22          A     I'm sorry, I misunderstood your question.

23          Q     How often would you say you have run aground in  
24 your little boat?

25          A     Well, it's a 52 foot boat -- it's not a -- I don't

1 want to be defensive. But I have run aground several times.

2 Q This is a sailboat?

3 A Yes.

4 Q Have a motor on it?

5 A Yes.

6 Q How did you get it off?

7 A Well, there's only one way to get a sailboat over  
8 an obstacle.

9 Q Well, how's that?

10 A Well, that's to back up.

11 Q Now, when you ran aground with your little  
12 sailboat, I take it you didn't have your computer with you?

13 A No.

14 Q You didn't sit there and say my center of  
15 buoyancy, my center of gravity, my KHE, my this-that, this  
16 X, Y, and Z. I'd better figure out how I am going to get  
17 out here.

18 A Well, I am sure that those concepts have to go  
19 through one's head if you are familiar with them.

20 Q But you didn't do the calculations in your head, I  
21 take it?

22 A No.

23 Q You have never been aground on a tanker have you?

24 A No.

25 Q And I take it you have never had the experience of

1 both seeing a crew that has just run aground try and figure  
2 out what the best course of action is?

3 A No.

4 Q Now you mentioned that you have testified before  
5 in some arbitrations and some Court cases?

6 A Yes.

7 Q None of those cases involved groundings, did they?

8 A No.

9 Q And none of them involved the type of structural  
10 problems that we are talking about here?

11 A Well, yes, at some level. I mean structure is  
12 structure, and it behaves the same in different  
13 circumstances. I mean, the considerations are the same.

14 Q Well, what I am really talking about is the cases  
15 that you were involved with did not involve a ship capsizing  
16 or possibly capsizing and sinking?

17 A No, none of the arbitrations that I was involved  
18 with had to do with capsizing and sinking.

19 Q Now I take it that your main expertise or the  
20 expertise that you had on propulsion dealt with steam  
21 engines?

22 A Yes.

23 Q Have you had any experience with slow speed diesel  
24 engines?

25 A Some since then.

1 Q Since you left Newport News?

2 A Yes.

3 Q Are you familiar with the power curves of a slow  
4 speed diesel engine?

5 A Yes.

6 Q Did you -- do you know what the maximum horsepower  
7 of this vessel was?

8 A It was about 30,000. I think I have heard the  
9 number 31,600.

10 Q Do you know what the horsepower was at 55 rpms?

11 A Well, it's a constant torque machine. The power  
12 should vary roughly with the cube of the rpm.

13 Q Have you done any calculations to figure out what  
14 the horsepower was at 55 rpm?

15 A No.

16 Q You didn't feel it necessary for your purposes?

17 A I wasn't asked to do that.

18 Q Did you discuss it with any of the other experts  
19 in this case? Discuss the available horsepower at 55 rpm?

20 A Initially as the contract was defined, I was to  
21 look into some of those issues. But in view of the time  
22 frame we had to pick the things -- I picked the things that  
23 I thought were most important, most relevant.

24 Q Did someone tell you not to bother with figuring  
25 out what the power curves for this vessel were?

1           A     No. That was part of the original scope of work.  
2 But there simply wasn't time to do it.

3           Q     Is it very, very difficult to figure out the power  
4 curves of this vessel?

5           A     No, all you have got to have is the propeller open  
6 water curve and the power curve for the engine is extremely  
7 simple. It's a straight line.

8           Q     That's easy enough to get if you wanted to find  
9 out what kind of power this vessel would generate at 55  
10 rpms?

11          A     Well, you would have to have the propeller open  
12 water curve, including the effect of the Mitsui duct,  
13 because you certainly -- if -- you're not going to develop  
14 full 86 rpm at bollard, but let's assume that you could  
15 develop 55.

16          Q     Well, the point I am trying to make here is that  
17 if you wanted that information, it was easy enough to get?

18          A     I suppose. I suppose it was.

19          Q     Now, talking about what the State asked you to do,  
20 you mentioned that the State provided you with certain  
21 information.

22          A     Yes.

23          Q     And on the basis of the information they provided  
24 you, you came to certain conclusions, you did some studies  
25 and certain conclusions?



1           A     Which is the typical way I operate with all of my  
2 clients. I have to have the input information to do  
3 anything. My client this time was the State of Alaska.

4           Q     Did you do any independent analysis yourself? In  
5 other words, did you try and gather information from other  
6 sources besides the State of Alaska?

7           A     Well, I have my own sources.

8           Q     Such as?

9           A     Well, my experience, my knowledge, that's been  
10 gained through 27 years of experience. My library. I did  
11 seek some information on IG system operation, which I  
12 provided independently of the State.

13          Q     But other than what you just mentioned, everything  
14 else came to you from the State?

15          A     The State and my own observations of the ship.

16          Q     So if the State didn't want you to know something,  
17 they could have withheld it from you for all you know?

18          A     I am confident that they didn't. I had the  
19 complete information that I needed in order to do what was  
20 defined.

21          Q     Now, did anyone write to you from the State, from  
22 the DA's office, telling you what kind of conclusion they  
23 wanted you to reach in this case?

24          A     No, they did not.

25          Q     Did they write you a letter telling you what they

1 wanted you to do?

2 A No. The only definition on paper is what is  
3 written in the contract that I have with the State.

4 Q The one that was originally for \$25,000?

5 A It's the same contract. The wording is the same.  
6 There has been an extension which ups the maximum.

7 THE COURT: It's 1:30, Mr. Chalos. Do you think  
8 this would be a good time for us to --

9 MR. CHALOS: I can finish him up tomorrow, your  
10 Honor, in about a half hour, forty five minutes at the most.

11 THE COURT: Ladies and gentlemen, we'll recess for  
12 the day now. We'll see you back at 8:15 a.m., tomorrow  
13 morning. I think we'll get a prompt start at 8:30 tomorrow  
14 morning. I am going to do my best, at least.

15 Don't discuss the case among yourselves or with  
16 anybody else. Don't form or express any opinions and avoid  
17 the media sources with regard to this case. See you back  
18 tomorrow.

19 (Whereupon, the jury exited the Courtroom.)

20 THE COURT: You may step down.

21 (The witness stands aside.)

22 THE COURT: Mr. Cole, when this witness is  
23 finished, how many witnesses do you have left in the State's  
24 case?

25 MR. COLE: Two.

1 THE COURT: And do you anticipate what, about a  
2 day for both of them?

3 MR. COLE: No.

4 THE COURT: You anticipated an hour for this  
5 witness. And I am going to multiply it by a factor of two  
6 or three, whatever you say.

7 MR. COLE: I think that one witness -- I think  
8 we'll be done tomorrow.

9 THE COURT: Okay. I dug up the Court's order and  
10 the State's response to the Court's suisponte order, if you  
11 folks don't have a copy of that. Mr. Cole, you indicated  
12 the phrase, property of another as used for the purpose of  
13 the indictment includes the fisheries, wildlife, vegetation,  
14 shoreline and other aspects of Prince William Sound. It  
15 does not include the Exxon Valdez itself. So I have been  
16 going on the assumption that we were dealing with that as  
17 the damage to another.

18 Is there anything else we can do today before we  
19 recess?

20 Let's have counsel in Court tomorrow at 8:15 and  
21 we'll get a prompt start at 8:30.

22 THE CLERK: Please rise. This Court stands in  
23 recess subject to call.

24 (Whereupon, at 1:31 o'clock p.m., the Court was in  
25 recess>)

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1 SUPERIOR COURT )

) Case No. 3ANS89-7217

2 STATE OF ALASKA )

) Case No. 3ANS89-7218

3 I do hereby certify that the foregoing transcript  
4 was typed by me and that said transcript is a true record  
5 of the recorded proceedings to the best of my ability.

6  
7 

8 ALFRED H. WARD

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25